

**Verbatim Transcript of Special Council Meeting
(Afternoon)**

Washington State Energy Facility Site Evaluation Council

November 21, 2017



206.287.9066 | 800.846.6989

1325 Fourth Avenue, Suite 1840, Seattle, Washington 98101

www.buellrealtime.com

email: info@buellrealtime.com



WASHINGTON STATE
ENERGY FACILITY SITE EVALUATION COUNCIL
Richard Hemstad Building
1300 South Evergreen Park Drive Southwest
Conference Room 206
Olympia, Washington
November 21, 2017
1:30 p.m.

SPECIAL COUNCIL MEETING
(Afternoon)
Verbatim Transcript of Proceeding

REPORTED BY: ANITA W. SELF, RPR, CCR #3032

Buell Realtime Reporting, LLC.
1325 Fourth Avenue
Suite 1840
Seattle, Washington 98101
206.287.9066 | Seattle
360.534.9066 | Olympia
800.846.6989 | National

www.buellrealtime.com

Page 2

1 A P P E A R A N C E S

2
3 Councilmembers Present:

- 4 Roselyn Marcus, Chair
5 Jaime Rossman, Department of Commerce
6 Cullen Stephenson, Department of Ecology
7 Dennis Moss, Utilities and Transportation Commission
8 Dan Siemann, Department of Natural Resources

9
10 Local Government and Optional State Agencies:

- 11 Larry Paulson, Port of Vancouver
12 Ken Stone, Department of Transportation
13 Bryan Snodgrass, City of Vancouver
14 Greg Shafer, Clark County

15
16 Assistant Attorney General:

- 17 Ann Essko, Senior Counsel
18 Tom Young

19
20 Staff in Attendance:

- 21 Stephen Posner
22 Tammy Mastro
23 Sonia Bumpus
24 Cassandra Noble
25 Joan Aitken
Patty Betts
Ami Kidder

* * * * *

20
21
22
23
24
25

1 OLYMPIA, WASHINGTON; NOVEMBER 21, 2017

2 1:30 p.m.

3

4 P R O C E E D I N G S

5

6 JUDGE MARCUS: Good afternoon. It is 1:30

7 and I am calling to order the special meeting of the

8 Washington State Energy Facility Site Evaluation

9 Council on Tuesday, November 21st, 2017.

10 Ms. Mastro, could you call the roll,

11 please.

12 MS. MASTRO: Department of Commerce?

13 MR. ROSSMAN: Jaime Rossman, here.

14 MS. MASTRO: Department of Ecology?

15 MR. STEPHENSON: Cullen Stephenson, here.

16 MS. MASTRO: Department of Fish and

17 Wildlife?

18 Department of Natural Resources?

19 MR. SIEMANN: Dan Siemann, here.

20 MS. MASTRO: Utilities and Transportation

21 Commission?

22 MR. MOSS: Dennis Moss is here.

23 MS. MASTRO: Local Governments and

24 Optional State Agencies, for the Tesoro Project,

25 Department of Transportation?

Page 4

1 MR. STONE: Ken Stone is here.

2 MS. MASTRO: City of Vancouver?

3 MR. SNODGRASS: Brian Snodgrass is here.

4 MS. MASTRO: Clark County?

5 MR. SHAFER: Greg Shafer, present.

6 MS. MASTRO: And the Port of Vancouver?

7 MR. PAULSON: Larry Paulson is here.

8 MS. MASTRO: Chair, there is a quorum for
9 the regular EFSEC Council and for the Tesoro Project
10 Council.

11 CHAIR MARCUS: Thank you.

12 We're going to start this meeting with a
13 presentation from EFSEC -- the EFSEC staff, Sonia
14 Bumpus, on the Tesoro Savage Vancouver Energy
15 Distribution Terminal Environmental Impact Statement.

16 MS. BUMPUS: Thank you. Good afternoon,
17 Chair Marcus and councilmembers. EFSEC staff are
18 pleased to announce that the Final Environmental
19 Impact Statement for the Vancouver Energy Distribution
20 Terminal project is complete. An electronic version
21 of the Final EIS was provided to councilmembers on
22 November 7, 2017.

23 The precursor to the Final EIS, the Draft
24 EIS, was published in November of 2015. During the
25 public comment period, EFSEC received approximately

1 250,000 public comment submissions.

2 After several months of categorizing the
3 comments, screening them and abstracting discrete
4 comments, we identified approximately 3,700
5 substantive comments that needed specific evaluation
6 and responses. These comments and their responses are
7 documented in the Final EIS in Appendix R.

8 Ms. Kidder, who is sitting -- well, she's
9 not sitting next to me anymore, she moved -- she's
10 going to be providing a brief overview of what the
11 impacts were that were identified in the document and
12 she'll mention where Appendix R is.

13 The purpose of the discussion today is to
14 present the significant adverse impacts that are
15 identified in the Final Environmental Impact
16 Statement. We also will discuss at a high level the
17 significant unavoidable impacts that were identified
18 in the document.

19 The second objective for today is to
20 answer questions that councilmembers may have about
21 your review since November 7. We also wanted to list
22 on this slide some of the updates and revisions that
23 have been made between the Draft and the Final EIS.

24 And as I mentioned, you know, we do want
25 to talk about what your questions are. We understand

Page 6

1 you've been reviewing the document. Given the size of
2 the document and the scope of the updates and
3 revisions to the document between the Draft and the
4 Final, we really have tried to keep this presentation
5 brief and focus our time with you on addressing your
6 questions and making sure that we can provide
7 clarification if there is any needed.

8 So moving to some of these bullets that
9 have to do with these revisions that I've mentioned
10 earlier, for the seismic analysis, there's been
11 additional modeling in areas 300, 400 and 500 of the
12 site, and 8.9 maximum considered earthquake was used
13 to evaluate the seismic hazards of the built
14 structures at the facility.

15 Seismic resources in Section 3.1 of the
16 Final EIS has been updated with the results, which
17 also discuss proposed mitigation. Ms. Kidder will
18 talk a little bit about this. This is one of the
19 significant unavoidable impacts that are identified in
20 the document.

21 I also wanted to point out that our
22 technical expert on this topic is Dr. CB Crouse. He's
23 just sitting over here, and he's here to answer
24 questions after the presentation if there are any
25 about this topic.

1 For the air quality analysis, there's been
2 additional modeling of diesel particulate matter and
3 NOx emissions. The analysis includes combined mobile
4 and stationary sources at the facility. And these
5 updates have been applied to Section 3.2 of the Final
6 EIS. For these, no significant impacts were
7 identified.

8 Our technical experts on this topic are
9 Mr. Chad Darby and Geoff Scott. They're sitting just
10 here. And again, they're here to answer questions
11 after the presentation on this issue.

12 For rail and vessel risk assessment, we
13 have done additional -- what I would say is made minor
14 revisions to the Chapter 4 discussions. An example of
15 some of the updates that we've done for the risk
16 assessment include the accounting of DOT 117 tank cars
17 at the facility. And so this has been accounted for
18 in the rail risk assessment.

19 We have Dagmar Etkin, who is on the line.
20 Dagmar, are you there?

21 MS. ETKIN (via bridge line): Yes, I am.

22 MS. BUMPUS: So Dagmar is available to
23 answer questions about the rail and vessel risk
24 assessment and also the risk associated with spills.
25 These are all discussed in Chapter 4 and they are

Page 8

1 categorized as significant, unavoidable impacts,
2 because if a spill did occur, the impacts are
3 anticipated to be severe.

4 For the spills analysis, substantial work
5 has been done in Chapter 4 to provide additional
6 information about trajectory and fate spill
7 assessments. There's a 3-D simulation that was
8 conducted using SIMAP modeling tools. Three locations
9 were modeled. We also have a two-dimensional overland
10 and overwater simulation that was performed for the
11 entire project rail corridor study area within
12 Washington state.

13 So that concludes my part of the
14 presentation, and I'm going to hand this over to Patty
15 Betts who's going to provide a little bit of
16 information about the role of the Final EIS under
17 SEPA.

18 And then after Patty's brief introduction
19 on that topic, we'll move to a discussion from Ami
20 Kidder about the organization of the document and the
21 adverse impacts that were identified.

22 MS. BETTS: There are many aspects to the
23 State Environmental Policy Act. Today we are focusing
24 on the role of SEPA and an EIS in decision making,
25 determining significance and the use of SEPA

1 substantive authority.

2 An EIS provides an impartial discussion of
3 significant adverse impacts, alternatives and
4 mitigation measures. It also discusses nonsignificant
5 impacts, or it can also discuss nonsignificant
6 impacts.

7 For making final decisions on a proposal,
8 SEPA expects and requires decision makers to consider
9 environmental quality as part of their balancing
10 judgment when making final decisions on a proposal.
11 The EIS provides that information on environmental
12 quality.

13 One of the important aspects of an EIS is
14 the identification of significant impacts. There are
15 two kinds of significant impacts identified in SEPA.
16 One is when an impact has a reasonable likelihood of
17 more than a moderate adverse impact on environmental
18 quality.

19 An example of a "reasonable likelihood" or
20 probable "adverse impact" are the impacts identified
21 in Chapter 3. It discusses the probable impacts to 17
22 different environmental resource areas. When a
23 probable impact rises to the level of more than
24 moderate, it is also identified as significant. Some
25 of the impacts identified in Chapter 3 are identified

Page 10

1 as significant.

2 The other type of significant impact
3 exists when the chance of occurrence is not great, but
4 the resulting environmental impact would be severe if
5 it occurred. An example of "low likelihood" and
6 "severe" is the discussion on spills in Chapter 4 and
7 the discussion of seismic events that can lead to
8 spills in Chapter 3.

9 SEPA provides agencies with supplemental
10 authority outside the existing authority they have
11 through other laws and rules. It gives agencies
12 additional authority to condition or deny a proposal.

13 There are some basic requirements for
14 using this supplemental authority. For example, the
15 Agency must have adopted policies, plans, rules, et
16 cetera, which provide a basis for using this
17 supplemental authority. And one of EFSEC's policies
18 and procedures for conditioning or denying a proposal
19 is WAC 463-47-110.

20 Conditions are typically called mitigation
21 measures in an EIS, and they must be for identified
22 adverse impacts in the EIS, either nonsignificant or
23 significant. I'm going to just make a few points
24 about mitigation measures to kind of explain what they
25 are and what they're not.

1 Mitigation does not generally include
2 commitments by the applicant. Those are considered to
3 be part of the proposal and are covered along with the
4 rest of the description proposal in Chapter 2.

5 Mitigation must be reasonable and capable
6 of being accomplished. The EIS identified some
7 mitigation measures that could be imposed by others,
8 but not EFSEC. These are provided as information, but
9 are not credited for reducing adverse impacts because
10 they would be -- not be enforceable by EFSEC.

11 Mitigation is also limited -- limited to
12 mitigating the amount of impact from the proposal. In
13 order of priority, mitigation includes avoiding,
14 minimizing, rectifying, reducing or eliminating over
15 time, compensating or monitoring with corrective
16 measures.

17 Mitigation could include additional data
18 collection to better quantify the amount of adverse
19 impact of the proposal as long as that measure also
20 includes a requirement to mitigate the impact once the
21 amount of impact is determined. Mitigation can be
22 imposed that has not been identified in the EIS as
23 long as the impact connected to that mitigation has
24 been identified.

25 And lastly, the identification of

Page 12

1 mitigation does not automatically mean an impact would
2 be fully eliminated or offset, nor that a significant
3 impact would be reduced to a nonsignificant level.

4 An example is a mitigation measure that
5 would improve the structural integrity of the facility
6 to better withstand the effects of a major earthquake.
7 The risk of structural failure in a large spill is
8 reduced but not eliminated, and the severity of the
9 impact, if it should occur, remains severe, so,
10 therefore, that impact is still significant.

11 For denying a proposal using SEPA
12 substantive authority, the impacts must be considered
13 significant after applying the mitigation. When the
14 mitigation that EFSEC could impose would not mitigate
15 the impact to a nonsignificant level, the impact is
16 significant and unavoidable.

17 I'll pass this on.

18 MS. KIDDER: I know it's a lengthy
19 document, and I hope your review is going well, but I
20 would like to draw your attention to some changes that
21 were made going from the Draft to the Final EIS.

22 You'll have noticed that the Final EIS
23 follows the same organization as the Draft, but there
24 are some changes we'd like to highlight.

25 In the Executive Summary, we have included

1 a discussion of key issues, which are several issues
2 that we've identified of impacts that cross multiple
3 resources.

4 In the Chapter 1 Project Background, there
5 is a section that specifically lists changes made
6 between the Draft and the Final.

7 In Chapter 2, we have included a table.
8 As the application has been updated, there have been
9 additional commitments or proposals made by the
10 applicant, BMPs, and mitigation measures that they
11 have offered that we've listed in a table for easy
12 organization, to make it easier for everybody to find.

13 In Chapter 3, we have some of the
14 additional analysis that was previously mentioned, and
15 we also have additional summary tables at the end of
16 each resource section, which summarize and list all
17 the impacts and mitigation measures as identified
18 within that resource.

19 Chapter 4 also has some additional
20 analysis. The rail and vessel risk analysis are in
21 this section as well as the spill trajectory modeling.
22 And it has also been reorganized so that, if you're
23 looking for something in Chapter 4, it may be in a
24 different place than the Draft Chapter 4.

25 Chapter 5 was also updated with some

Page 14

1 additional analysis and updated greenhouse gas
2 discussion.

3 And Chapter 10, which is a new section
4 that was not in the Draft EIS, this chapter addresses
5 the summary comments and responses from the many
6 public comment responses we received on the Draft EIS,
7 and these are the summary responses. You'll find the
8 discrete individual comments and responses listed in
9 Appendix R.

10 You will also find in the appendices
11 supporting documents, studies and plans; in
12 particular, the full reports of the updated analysis
13 [sic] that were previously mentioned. In particular,
14 Appendix [sic] C, E, F and J are ones to note if
15 you're looking for these full reports.

16 To dive into Chapter 3 a little bit, some
17 sections to note, we do have four identified
18 significant, unavoidable impacts that are discussed in
19 detail in Chapter 3.

20 In Chapter -- or in Section 3.1, the
21 impact identified is potential impacts to the facility
22 from hazards. So should the MCE earthquake occur,
23 impacts would -- would affect the dock and transfer
24 pipeline, and damage could result in a spill. EFSEC
25 has mitigat- -- identified mitigation in this section,

1 but as mentioned, there's no mitigation that we've
2 identified that would fully eliminate this risk.

3 In Section 3.8, Environmental Health, the
4 impact is along the rail corridor with relation to
5 accidents and fatalities. In the event that there's a
6 collision with a pedestrian or motorist, an injury or
7 fatality would be considered a significant impact.
8 EFSEC has not identified mitigation in this section
9 that EFSEC could impose, although there is mitigation
10 identified that others -- other parties could impose.

11 Section 3.15, Public Services and
12 Utilities, and Section 3.16 both speak to a similar
13 impact along the rail corridor. Specifically, this
14 impact is the increased rail traffic would increase
15 traffic delays from gate downtime, and the specific
16 concern here is emergency response times from fire or
17 other emergency responders.

18 In 3.16, this is specifically discussed in
19 terms of what that impact would be to environmental
20 justice populations along the rail corridor. For both
21 of these sections, again, mitigation has been
22 identified that a third party could impose, but
23 there's no mitigation that EFSEC could impose for
24 these impacts.

25 There are other significant impacts

Page 16

1 identified within Chapter 3. In 3.6, the vessel
2 corridor has impacts identified to fish. Juvenile and
3 small fish, including subyearling Chinook, could be
4 impacted from deep-draft vessel wakes. There is
5 iden- -- there is mitigation identified as imposed by
6 EFSEC that could reduce this mitigation down to
7 nonsignificant.

8 Similarly, 3.9, Noise, has an impact from
9 facility nighttime construction noise, which is
10 typical construction activities, jet grouting and
11 impact pile driving would all be above the nighttime
12 noise threshold at both the Fruit Valley neighborhood
13 and the jail work center. And again, EFSEC has
14 identified mitigation for this impact that could be
15 imposed upon the applicant.

16 In Chapter 4, it's important to note that
17 the impact discussion assumes that a spill, fire or
18 explosion has occurred rather than normal operations
19 discussed in Chapter 3.

20 The language from WAC 197-11 is here, but,
21 in summary, no mitigation can completely eliminate the
22 risk. These impacts may be unlikely under the risk
23 analysis, but because the impacts would be severe,
24 they're still considered significant under SEPA.

25 And this is the lens through which the

1 Chapter 4 impacts are discussed. This is a section
2 where we have a lot of new information. As previously
3 mentioned, both the rail and vessel spill risk
4 analysis have been updated, as well as the trajectory
5 modeling. We also have more information on emergency
6 response methods, resources, trainings and planning
7 gaps that have been included.

8 And we do have mitigation measures
9 identified in Chapter 4. They are identified as
10 whether or not they could be imposed by EFSEC or by a
11 third party, but we also have a further distinction of
12 these mitigation measures as to whether or not they
13 would improve prevention of such an incident, or
14 whether they would improve response capabilities.

15 MS. BUMPUS: Okay. So at this time, as I
16 said, we've kept this fairly high level in
17 anticipation of questions from councilmembers. And so
18 our -- our technical experts are ready to answer any
19 questions you may have, and Staff will also do our
20 best to answer questions.

21 CHAIR MARCUS: Thank you.

22 Any questions or requests for additional
23 information about the modeling or the information or
24 where you can find it?

25 Mr. Rossman?

Page 18

1 MR. ROSSMAN: Yes. One question I have
2 is, I know that there are estimates of spill risk for
3 each of the components on the project, rail transit at
4 the site and the vessel. Is there a place where those
5 are all compiled, or is this sort of a cumulative
6 spill estimate?

7 MS. BUMPUS: You're asking where this
8 information is at in the document in Chapter 4?

9 MR. ROSSMAN: I'm asking if there's a --
10 is there a table that compiles it all into an overall
11 risk of release, or are they just treated separately,
12 the rail risk, the vessel risk?

13 MS. BUMPUS: Dagmar, could you speak to
14 this?

15 MS. ETKIN: Yes. Thank you. There's --
16 if you show slide 13 --

17 MS. BUMPUS: Okay. We're looking at slide
18 13.

19 MS. ETKIN: Yeah. Okay. So slide 13
20 talks about, these are the -- the spills that might
21 occur during vessel transfer activities. So that's if
22 there's a vessel at the dockside receiving oil from
23 the facility that -- these are -- these are the
24 spills -- spill frequency from that.

25 The next slide is 14, which slide 14 shows

1 the probability of in-transit spills by -- from the --
2 from the rail corridor. It's just a probability of
3 the spill.

4 15 shows the spills that could occur by
5 rail and the volumes -- the frequency of the different
6 volumes of spills, the small ones -- small spills,
7 moderate spills and very large spills, either
8 occurring from loaded tank cars or locomotives in
9 transit, or empty locomotives which could just spill
10 diesel on the return trip, and also for transfers and
11 facility -- transfers at the facility from the rail to
12 the storage tanks at the facility and then an accident
13 on the rails.

14 Then slide 16 shows the frequency of
15 spills of different volumes from vessels in transit,
16 underway.

17 So in these slides, we've separated out
18 the different -- the different spills based on the
19 source -- the source of the spill. In the EIS
20 document itself, I'm -- I'm not sure whether there's a
21 table that pulls those -- these all together.

22 MS. BUMPUS: We don't believe that --
23 we're checking, but we don't believe there's a table
24 in Chapter 4 that pulls all of this together into a
25 single table.

Page 20

1 MR. ROSSMAN: Thank you.

2 MS. ETKIN: Yeah. So there are
3 separate -- separate tables based on the source. But
4 this basic -- these four slides basically summarize
5 the likelihood and volumes of spills. Not their
6 impact, but just the likelihood.

7 CHAIR MARCUS: Other questions?

8 Mr. Siemann?

9 MR. SIEMANN: On this same topic, I'm
10 wondering if you could help us just understand what
11 we're seeing here and what all of this information
12 means. And I'm thinking about it in terms of some of
13 the information we got in the adjudication in which we
14 were told that, for example, we can expect a
15 derailment along the route corridor every 2.4 years.

16 How can we understand this in those terms,
17 the potential for spills?

18 MS. ETKIN: I -- I don't know where the
19 value of 2 -- of a derailment every 2.4 years comes,
20 whether that was something that came from the analyses
21 that my team did, or whether that was something that
22 someone else brought in. I -- I can't answer that
23 specifically.

24 But what -- what I did in the analysis to
25 calculate the probability of -- of a rail spill was to

1 look at the likelihood that there might be a
2 derailment or other kind of accident. And other kinds
3 of accidents might include hitting a, you know, truck
4 or a car or -- you know, at a crossing. And in this
5 respect, we were thinking not about the potential
6 impacts to the -- to the passengers in the car, but
7 rather the impacts to the train. That would be
8 another way in which you might have a -- have a spill.

9 Looking at the likelihood of having an
10 accident and then looking at the likelihood that that
11 accident might result in spillage, and that would
12 depend on how many tank cars actually derailed or were
13 damaged, and then what would the likelihood be that
14 damaged cars might release oil.

15 So you could have an accident -- for
16 example, there was a derailment a couple of years ago
17 in downtown Seattle, I think the Magnolia -- somewhere
18 in the Magnolia area where there was a derailment but
19 there was no spillage. There was just -- there was a
20 derailment of some crude-by-rail tank cars. So it's
21 possible to have -- have a derailment in which there's
22 no spillage. In fact, that's more likely to be the
23 case than that there is a spill.

24 So we've taken into account the likelihood
25 that you'd have derailments and other types of

Page 22

1 accidents, the likelihood that those accidents would
2 result in a spill, and then looking at the likelihood
3 of different numbers of tank cars actually releasing
4 oil, which would provide the distribution of potential
5 volume.

6 MR. SIEMANN: Can I follow up?

7 CHAIR MARCUS: Sure.

8 MR. SIEMANN: I appreciate that.

9 What I guess I'm trying to get to is, in
10 the adjudication, that number of, you know -- and the
11 derailment every 2.4 years give us a more tangible
12 sense of what we could expect in terms of the life of
13 the project and the likelihood of a -- in that case, a
14 train derailling.

15 In this case, in terms of spill
16 frequencies from vessels or from other sources, is
17 there a way to give us a similar kind of sense of, for
18 example, the number of small spills that one might
19 expect during the 20-year life span of this, or the
20 number of large -- medium-size spills or number of
21 large spills that might be expected statistically
22 as -- during the life of this project?

23 MS. ETKIN: Sure. So the data that you
24 see summarized -- and, again, these are slides 13 --
25 13, 14, 15 and 16 -- gives the annual probability of

1 having a -- having a spill. So that means every year
2 there's a, you know, certain likelihood that -- that
3 there might be a spill. And if you -- you can turn
4 that annual probability into a return period and say
5 that, roughly, you know, for example on the first
6 slide --

7 MS. BUMPUS: Dagmar --

8 MS. ETKIN: -- it says -- yes.

9 MS. BUMPUS: -- which slide should --

10 MS. ETKIN: Number -- number 13.

11 MS. BUMPUS: Okay. And that is Expected
12 Vessel Transfer Spill Frequencies?

13 MS. ETKIN: Yeah, for --

14 MS. BUMPUS: Okay.

15 MS. ETKIN: For -- yes, and I'm using this
16 as an example.

17 MS. BUMPUS: All right. Thank you.

18 MS. ETKIN: You have number of spills per
19 year and then an annual probability. I've turned the
20 spills per year into this number, annual probability.

21 For example, the first line shows 1 in 14,
22 and if you -- if you divide 1 by 14, you actually get
23 .07118. That's the number of spills per year.

24 But you could take this annual
25 probability, and then that gives you a -- and take the

Page 24

1 inverse of it -- so in other words, 14 -- you'd expect
2 roughly 1 in 14 years -- once in 14 years you might
3 have a spill. That doesn't mean that you can't have
4 two years in a row of having a spill, or that you'll
5 necessarily have a spill during that 14-year period,
6 but that gives you an expected spill of once in
7 14 years.

8 And if your time period for this project
9 is 20 years, then you could say that there will be,
10 you know, one -- at least -- probably at least one
11 small spill during that time period.

12 Now, for the spills that are larger, you
13 now have, let's say, for a -- for the vessel transfer
14 spill in this case, you have a -- you know, a
15 thousand -- a thousand-barrel volume spill, those are
16 much less frequent, much less likely to occur, and
17 here the annual probability is 1 in 1600.

18 So it doesn't mean that in that 20-year
19 period you won't have a spill of this size; it just
20 means that it's much more -- much less likely to
21 occur.

22 So the same would be true for the other --
23 the other sources of spills. So, for example, on
24 slide 14, please, switch to that one, we now look
25 at -- these are the likelihood of a rail spill. And

1 here you'd have a crude -- of a spill of crude oil,
2 you'd have a 1-in-48 likelihood that there would be a
3 spill.

4 And that -- so it does -- it means that
5 it's -- if there's a -- I can't do the math quickly in
6 my head, but there's a 1-in-48 chance, .021, and you
7 multiply that by 20 years, and you could -- I have my
8 calculator here, I'll do it for you -- it means
9 there's a .4 -- like a 40 percent chance that you
10 might have a spill within that 20-year time period.

11 But, again, you may have two spills or you
12 may not have any, but this is just generally what the
13 probability would be expected. And, again, this is a
14 spill of any volume, not necessarily a large spill for
15 the -- for the rail.

16 If you can look on slide 15, that gives a
17 sense of the volumes of spillage that might occur. So
18 one is a very -- the 40,000-barrel or a 20,000-barrel,
19 so a very large spill like that is a 1-in-480 -- or
20 1-in-4,800 chance --

21 CHAIR MARCUS: Thank you.

22 MS. ETKIN: -- in one year, and then you
23 just multiply that by 20, and that gives you a sense
24 of how many you might expect in 20 years for the
25 facility.

Page 26

1 CHAIR MARCUS: Thank you.

2 Mr. Snodgrass?

3 MR. SNODGRASS: Good afternoon. I have a
4 couple of questions on the analysis, and let me thank
5 you for doing it. Just reading it all the last couple
6 of weeks takes a while. I'm sure producing it was
7 quite a feat.

8 In terms of just picking up on the
9 conversation we're having now regarding spill sizes,
10 I'm looking at page 125, table 88 of the -- of your
11 appendix, essentially, Appendix E, the Rail Spill Risk
12 Analysis, and I just want to make sure I'm
13 understanding it correctly.

14 It's listing in terms of spill volume the
15 10th percentile as being 2,860 barrels.

16 I'm sorry. Are you able to hear me?

17 MS. BUMPUS: I don't think she was able to
18 hear you.

19 MS. ETKIN: I didn't hear any --

20 MR. SNODGRASS: Oh, apologies. My mic was
21 off.

22 MS. ETKIN: I'm sorry.

23 MR. SNODGRASS: On this question of spill
24 size, I'm looking at Table 88 in Appendix E, and I
25 want to make sure I understand it correctly. It's

1 listing the 10th percentile spill as 2,860 barrels.

2 Does that mean that -- as I understand it,
3 that means that 90 percent of the spills will be
4 greater than that, if there is a spill. And I'm
5 talking about rail transit.

6 MS. ETKIN: Right. Table 88. All right.
7 I must have a different version of it, because I see
8 that's Recent Accidents, but --

9 MR. SHAFER: 86.

10 MR. SNODGRASS: My mistake. 86.

11 MS. ETKIN: Table 86. Okay.

12 MR. SNODGRASS. Yeah.

13 MS. ETKIN: Table 86, Expected Spill
14 Volume Per Incident, Loaded Trains?

15 MR. SNODGRASS: Yes.

16 MS. ETKIN: Okay. So you're looking at
17 the 10th percentile, which is 2,860. That means if
18 there were to be a spill, that the -- that 90 percent
19 of the spills would be smaller than this, and only
20 10 percent would be larger. I'm sorry. I reversed
21 it.

22 The 10th percentile is the -- in the -- in
23 the curve is what -- so 90 percent of the spills might
24 be larger than that and 10 percent smaller.

25 MR. SNODGRASS: Thank you.

Page 28

1 And the reason I raise that is because
2 elsewhere in the document, and maybe in this section
3 or in Chapter 4, I think it identifies 2,500 barrels,
4 or maybe it was 2,200, I can't remember, as sort of a
5 distinction in terms of talking about a large spill
6 versus a smaller one.

7 And so as I read this, 90 percent of the
8 spills that are predicted would be what this document
9 talks about is a large spill. Does that -- am I
10 understanding that correctly?

11 MS. ETKIN: Right. In this -- in this
12 modeling where you'd have -- yes, they'd be -- you'd
13 have at least 261 barrels spilled. And then if you
14 had -- now in the next -- if you had 4.4 tank cars
15 releasing, there would be 2,860 barrels spilled.

16 MR. SNODGRASS: Thank you.

17 And I also had a couple of questions on --
18 one of the larger issues that came up in the
19 adjudicative process was in terms of making these kind
20 of projections, to what extent we could rely on
21 freight data in general versus data from crude by
22 rail.

23 MS. ETKIN: Right.

24 MR. SNODGRASS: And so I appreciate some
25 of the additional work that you've done here to at

1 least start trying to get at the crude-by-rail data,
2 recognizing there's some complication in collecting
3 it.

4 And so I have a question on Table 31.

5 MS. ETKIN: Just a moment.

6 MS. BUMPUS: And Dagmar, let me know if
7 there's a slide you'd like me to go to that would
8 help --

9 MS. ETKIN: No, this is -- these are not
10 on the slides. This is in Appendix E.

11 MS. BUMPUS: Right.

12 MS. ETKIN: So Table 31, yes. That's
13 looking at --

14 MR. SNODGRASS: And the question is -- and
15 so this is an attempt to gather that question of okay,
16 what is the derailment rate and the accident rate for
17 crude-by-rail, as best it could be estimated in the
18 last --

19 MS. ETKIN: Right.

20 MR. SNODGRASS: Looks like decade or so.
21 And so that information is useful.

22 I guess I wanted to know what -- I guess
23 why there wasn't a comparison between that and the
24 actual freight data, because it can be drawn.

25 I'm looking at -- Table 25 is Freight

Page 30

1 Train Mile Line -- Trait [sic] -- Main Line Accident
2 Rate Per Train, and then it says, Average Accidents
3 Per Million Miles, and it gives a national figure
4 of -- I apologize for getting in the weeds, but I
5 think there's an important question here -- national
6 derailments in the last approximate decade, .0 --
7 0.6475.

8 MS. ETKIN: Right.

9 MR. SNODGRASS: When I did my math and I
10 compared that to the modeled crude-by-rail derailment,
11 it looks like, according to this -- and I had somebody
12 else check it out and wanted your reaction to it --
13 that the estimated crude-by-rail derailment rate is 28
14 times worse than the record- -- than the reported
15 freight rate.

16 MS. ETKIN: Okay. So you're comparing --
17 I'm going to have to put you on speakerphone so I
18 can -- hopefully you can still hear me.

19 So you're comparing Table --

20 MS. BUMPUS: We're having trouble hearing
21 you, Dagmar.

22 MS. ETKIN: Then I don't know how else to
23 do it. I can't -- I can only -- I can't type and --
24 okay. Table 31 --

25 MR. SNODGRASS: Yeah. Let me add one

1 thing in terms of the comparison that I forgot to
2 mention.

3 Table 25, which is the all freight data as
4 expressed in million train miles, Table 31, which is
5 the CBR accident and derailment data --

6 MS. ETKIN: Right.

7 MR. SNODGRASS: -- as expressed in
8 transits, we heard during the adjudication, I think,
9 from the proponent's expert witness that the average
10 length of a CBR in-transit is somewhere around a
11 thousand miles.

12 So just assuming that -- just taking that
13 for this example, I included that, and so, again, when
14 I did the math, I got 28 times worse crude-by-rail
15 derailment rate than freight rate. And so I just
16 wondered --

17 MS. ETKIN: Right.

18 MR. SNODGRASS: -- your reaction to that.

19 MS. ETKIN: Right. Well, it -- you're --
20 you're comparing different kinds of data. I'm
21 assuming you're talking about the -- since I had no --
22 did not have access to any of the information that was
23 provided in the -- at the adjudication, I'm assuming
24 you're talking about studies done by Barkan? Is that
25 Chris Barkan perhaps?

Page 32

1 MR. SNODGRASS: In terms of the average --
2 in terms of the average length of a trip, yeah, that
3 did come from Mr. Barkan, but the other facts are from
4 the tables here.

5 MS. ELKIN: Right, right, right. I've
6 used -- I've used a lot of his data in these analyses.

7 The -- I don't know how to do that
8 calculation in my head to figure out what -- how that
9 would be by train mile based on the number of
10 transits, so I -- it's possible that that's -- that it
11 comes out to the numbers you're saying. I don't know.
12 I can't check that here.

13 The reason that I was relying on freight
14 derailments and also -- it's not just derailments, but
15 it's also other kinds of accidents or the -- though
16 the most common kind of accident that you have is a
17 derailment, and these other accidents could cause
18 derailments, so you could have a collision that would
19 then cause a derailment, for example.

20 The reason that I did not rely totally --
21 solely on the crude-by-rail is that there's such -- so
22 few data to work with that it's not really
23 statistically valid to do that. And I was
24 concerned -- I did provide it here as a point of
25 information, but I did not think that it was -- that

1 it was a statistically sound approach. That is why I
2 did not continue with this.

3 MR. SNODGRASS: Okay. And just one other
4 question on those lines in terms of, you had mentioned
5 the examples of crude-by-rail derailments that don't
6 result in spills, and you had given the example of --
7 of one that happened in Seattle. I think during the
8 adjudication we heard about one that happened in
9 Philadelphia.

10 This document, I can't remember the page,
11 says there's several instances of that, and I just
12 wondered what -- could you elaborate on that? Are
13 there -- are we talking about 10 cases? 20? 100?
14 More?

15 MS. ETKIN: No. The problem with the data
16 on -- on the -- on derailments is that it doesn't tell
17 you what was -- what was being carried on the train,
18 so you can't use the Federal Railroad Administration
19 data. We don't know what was on the train.

20 We just know whether it had -- whether
21 there was a -- whether they were tank cars or not,
22 whether it was carrying hazardous materials, which
23 could be other -- things other than -- than oil. And
24 so there's no -- no way to -- to -- to actually
25 identify specific incidents based on that data.

Page 34

1 With that said, I followed the reports
2 about -- about incidents that occurred, and there were
3 a lot of them that were, you know, obviously in the
4 news, and I've included tables of those in here. And
5 these are ones -- these were the only ones that I was
6 able to identify.

7 MR. SNODGRASS: Thank you.

8 CHAIR MARCUS: Additional questions?

9 Mr. Cullen [sic].

10 MR. STEPHENSON: Yes, thanks, Chair Ro.
11 Two questions, actually.

12 One, in the highlights provided today,
13 several issues aren't in there. I understand that,
14 but I just thought it would be illustrative to say,
15 for instance, why air quality is not one of those
16 things in there, and just a brief discussion of why
17 that would not rise to this level.

18 MS. BUMPUS: So I'm going to have -- you
19 know, part of the answer will include some information
20 to be provided by Mr. Chad Darby.

21 So the short answer is that it's not
22 included in the rest of the slides because we did not
23 identify it as a significant, unavoidable impact. And
24 so I'm going to -- I think it would be appropriate to
25 let Geoff and Chad answer the other part of the

1 question, which is more to the threshold that we
2 looked to when we were looking to see if this went
3 over or under that significance threshold.

4 MR. DARBY: Does this work? Okay.

5 Is there a specific air quality impact
6 that you would like us to address?

7 MR. STEPHENSON: No, sir. Just overall of
8 why it doesn't rise to the level --

9 MR. DARBY: All right. Well, in the air
10 quality section, you'll notice there's a lot of
11 different analyses that are done in there for toxics
12 emissions and criteria pollutant emissions, and within
13 those categories there's a lot of different
14 pollutants. And we tried to highlight in there what
15 the criteria were for deciding whether or not
16 something was at the level of a significant impact.

17 For instance -- and Geoff can talk in more
18 detail about this, but diesel particulate matter was
19 one of the things that was looked at. And in the
20 Draft EIS, as you may recall, there was discussion
21 about subsequent analyses that would be done for
22 diesel particulate matter, and for the Final EIS, that
23 analysis was completed.

24 And the threshold for deciding whether or
25 not there was a significant impact from diesel

Page 36

1 particulate matter in terms of lifetime excess cancer
2 risk was ten in a million, which is what's used for
3 stationary sources that are permitted in the state of
4 Washington, so that is the threshold that's used
5 ubiquitously in SEPA analyses.

6 And so, for instance, that is one of many
7 of the thresholds in that section that were utilized.
8 And then when the analysis was done and an impact was
9 found to be below that threshold, in that case diesel
10 particulate matter, and -- then it was determined to
11 not be significant or less than significant.

12 MS. BUMPUS: Geoff, do you want to -- you
13 look like you want to say something. Do you want to
14 add to that?

15 MR. SCOTT: Well, only if -- does that
16 cover the -- your -- your question?

17 MR. STEPHENSON: Yes, that's fine. Thank
18 you.

19 And then my second question, I think, is
20 to Mr. Posner as the responsible official. You and
21 your staff and the consultants have worked a lot on
22 this document. The Council has been trying to keep up
23 through the draft phases, and certainly we've been
24 spending a lot of time since the draft came out
25 November 7th.

1 Are you and Staff and consultants
2 confident in this document and feel like it's as good
3 as we can get right now, or is it even better than we
4 can get right now? And so just -- I want to hear from
5 Staff, and I want that, you know, just stated that
6 this is really representing your best efforts. I
7 think it is, but I want you to say that.

8 MR. POSNER: Right. Well, you know, as
9 you alluded to, this document has been worked on for
10 quite a long time. And we've come a long way since
11 the issuance of the Draft EIS. There's been quite a
12 bit of work that's been done.

13 And as the SEPA responsible official, I
14 would say that, you know, based on my consulting with
15 the contractors and EFSEC staff and my review of the
16 document, that it does comply with the SEPA rules and
17 that it is sufficient to be issued as a Final EIS.

18 MR. STEPHENSON: Thank you.

19 CHAIR MARCUS: Questions, Mr. Snodgrass?

20 MR. SNODGRASS: One follow-up question,
21 Ms. Etkin, on the vessel analysis that I forgot
22 earlier.

23 I'm looking at page 39 of the vessel
24 appendix, and on the -- near the top it talks about
25 Tug Escorting Characteristics Applicable to Columbia

Page 38

1 River Use. And I guess I -- if you could just, if you
2 have that in front of you, explain what's being said.

3 It says -- under the second point, it
4 says -- well, first it says: Tug escorts provide two
5 main features to reduce risk. One is raise
6 situational awareness and the other is ability to
7 prevent groundings due to tug assist.

8 And then it goes on to say right below
9 that: The first feature would be recognized if not
10 outweighed by the other factors. The second feature
11 requires room to maneuver. And as noted by Bar Pilots
12 above, the limited widths of the channel does provide
13 this.

14 So this is different information than we
15 heard in the adjudication, and so I wondered if you
16 could elaborate on it.

17 MS. ETKIN: I did not write this section.
18 This was -- this was written by people at Herbert
19 Engineering, so I -- I do not -- I don't think that I
20 could answer -- answer your question. We could look
21 into it and contact the people who worked on this --
22 sorry -- and provide that at another time.

23 MS. BUMPUS: Dagmar, can you repeat the
24 name of the sub-consultant?

25 MS. ETKIN: Herbert Engineering Corp.

1 MS. BUMPUS: Thank you.

2 MS. ETKIN: It's on the front cover of
3 the -- of the report.

4 And more specifically, if I had the
5 information from -- that was different than what was
6 provided in the adjudication, which I don't have, I
7 think it explains what might be different in -- in our
8 determination relative that. I don't know. I'm not
9 sure what -- what we're comparing.

10 MR. SNODGRASS: Well, it was just -- this
11 is a high-level question. In the adjudication, at
12 least, I don't recall there being a question about the
13 effectiveness of tugs to reduce the risk of grounding.
14 And this, at least as written, suggests there is.

15 MS. ETKIN: That there could -- there
16 would be -- yeah. All right. I could contact
17 Dr. Moore and ask him if he could explain why -- why
18 he might have brought this up in this context.

19 MR. SNODGRASS: Thank you.

20 MS. BUMPUS: Councilmember Snodgrass,
21 Staff can follow up on that question. There isn't
22 anyone from that sub-consulting firm available here,
23 so we can follow up with you and see if we can get
24 some clarification.

25 MR. SNODGRASS: Great. Thank you.

Page 40

1 CHAIR MARCUS: Mr. Shafer?

2 MR. SHAFER: Ms. Bumpus, thank you very
3 much for the good presentation today.

4 One question on public comment. You
5 actually started this as a reference in the
6 presentation today, and I go to page 8 on the
7 Executive Summary. It also references public comments
8 generally saying that many comments -- include many
9 comments in opposition of the proposed project and
10 many -- many comments in support.

11 I know that's a very basic statement, but
12 to me it kind of implies there's an equivalence there,
13 that there were about 50 -- you know, 50/50 sort of
14 thing.

15 And I'm not looking for exact percentages
16 here by any means, but can you help us with some sense
17 of the opposition versus, you know, in favor and those
18 against as you were, you know, plowing through
19 250,000? Was it at about that equivalency, about
20 50/50, you know, for and against, or 60/40 or 90/10 or
21 just some -- maybe a little bit more perspective there
22 on that?

23 MS. BUMPUS: Well, it's a tough question.
24 I don't -- I don't know the percentages, and we could
25 find out what the percentages are by going back and

1 looking at our database that was used to sort of
2 catalog these, so I could find probably an exact
3 number.

4 But just to, you know, estimate, I mean,
5 certainly the majority of the comments that were
6 submitted were really about the document and, you
7 know, more to do with issues that were identified in
8 the document.

9 There were -- I guess just to kind of
10 clarify, when we received a submission, a lot of times
11 there were details about specific issues in the EIS
12 itself, but then the commenter might also mention sort
13 of -- or give away a position on the project itself.

14 And we didn't really spend a lot of time
15 looking at -- at those particular comments. We were
16 looking for the substantive comments that the
17 commenter was communicating to us about the document.

18 So it's -- it is hard to say, but -- I
19 mean, I would certainly say -- I guess I'm comfortable
20 saying that there were a large portion of them that
21 were expressing in one way or another opposition to
22 the project.

23 MR. SHAFER: Thank you. That's very
24 helpful.

25 CHAIR MARCUS: Mr. Rossman?

Page 42

1 MR. ROSSMAN: A question on the rail risk
2 estimates, and I'm still -- still working through
3 those sections, but to what extent are the -- are the
4 estimates of future incidents based on assumed
5 improvements in rail safety relative to present day,
6 and how would the estimates be different if one
7 instead assumed that present day conditions continue
8 forward?

9 MS. ETKIN: Okay. Let me go through the
10 different -- the different factors that were taken
11 into account, and then we can -- some of them are
12 already in place and some of them we are assuming.

13 One of the -- the larger assumptions is
14 that there would be DOT 117 cars or D -- or DOT 120
15 cars in -- you know, exclusively in use.

16 Tesoro announced in May of 2015 that it
17 would -- that it would actually -- I'm sorry -- yeah,
18 May 2015, they announced that they would be using
19 exclusively DOT 117 cars, and then on 18 May 2015 they
20 announced substantial completion of the first of the
21 DOT 120 cars, which provide even higher safety
22 relative to the -- the DOT 117 cars.

23 Now, this would assume that they would
24 have -- have those in place, and that -- and those --
25 the safer tank cars would reduce the likelihood that

1 there would be spillage if there were to be an
2 accident. So that's -- that's one side of it, and so
3 we have to assume that that's -- that that's -- those
4 are universally being used.

5 As far as the factors that reduce --
6 reduce the likelihood of having an accident, it's just
7 going to take me a little bit of time to go through
8 the report to find that section because I have to
9 scroll through here to find it. Just hold on one
10 moment. I will find it for you.

11 The -- and now, just related, again, to
12 the likelihood of release, and then we'll go back to
13 the likelihood of an accident in the first place, the
14 other factor that's involved in the tank car release
15 rate is the assumption of lower operating speeds, and
16 I believe, to the best of my knowledge, that is
17 required at this time.

18 And the other part of that would be
19 thermal protection, which is also part of the -- the
20 change in the tank cars, improved tank car safety now.

21 If we go back to the factors like positive
22 train control and so forth, I'll have to look at
23 those, when those are going to be in effect. And so
24 there's -- I'm sorry. It's hard to do this with one
25 hand here. Hold on.

Page 44

1 So the adjustments to the rail accident
2 probability are enhanced BCP braking, which I
3 believe to -- I believe those are currently in use,
4 but if -- if not, that would -- that might change
5 things by a few percent in terms of the likelihood of
6 an accident.

7 Positive -- you know, we're assuming that
8 positive train control, PTC, is fully implemented. I
9 don't know current -- I don't know what the current
10 state of that is. I believe that was in the works.
11 I'm sorry. I don't -- I mean, I wrote this a couple
12 of years ago. I don't know what the current situation
13 is in terms of positive train control and wayside
14 detectors.

15 Track upgrades, I believe track upgrades
16 have been made, but, again, I don't know what the
17 current situation is on that.

18 So I -- I would have to do more research
19 to see what the state is. So we are assuming that
20 those things are in place and that they are effective,
21 and the modeling takes into account a range of
22 potential effectiveness.

23 MR. ROSSMAN: So looking at Table 8 in --
24 in that appendix, which was on page 21, and that's in
25 Appendix --

1 MS. ETKIN: I'm sorry. Table 8?

2 MR. ROSSMAN: Yes.

3 MS. ETKIN: So that's probably in the
4 Executive Summary. Table 8, yeah.

5 MR. ROSSMAN: So that's where we're
6 looking at the composition of the -- of the fleet.

7 MS. ETKIN: Yes.

8 MR. ROSSMAN: And am I right that the --
9 it's the Fleet G there that's the hundred percent 117
10 and 120s?

11 MS. ETKIN: That's right.

12 MR. ROSSMAN: And is that your
13 understanding of the applicant's commitment? I was
14 not clear whether their commitment was to 117s or if
15 that included 117-Rs.

16 MS. ETKIN: I don't know what the
17 commitment is.

18 MR. ROSSMAN: Okay. So these are -- these
19 risk assumptions are assuming a fleet with entirely
20 117 and 120s, and then implementation of those other
21 measures, but you're not able to give us a sense of
22 which of those are in place currently?

23 MS. ETKIN: I don't know. In terms of
24 what I did in this analysis, I was asked to look at --
25 you know, to -- to assume that -- what would happen if

Page 46

1 they didn't have -- if they were only using 1 -- you
2 know, 111s, or if they were using 117s and 120s, so
3 you have a distribution of the different types of cars
4 here.

5 And you can see that if you're only
6 dealing with 111s, you have a -- you have three -- I'm
7 sorry -- three times as many spills expected as with
8 the -- with the fleet that is fully 117s and 120s.
9 And if there's some combination of those, or somewhere
10 in between, your spill probability would be somewhere
11 in there.

12 MR. ROSSMAN: Okay. Thank you.

13 CHAIR MARCUS: Any other questions?

14 MS. ETKIN: So likewise, if some of the
15 other -- other factors -- the other safety factors
16 were not fully implemented, then it's possible that
17 you might have an increase in spill frequency, or
18 accident frequency in the spills.

19 CHAIR MARCUS: Mr. Stone?

20 MR. STONE: Thank you, Chair Marcus.

21 I have a question regarding the seismic
22 analysis that was done in support of the EIS. And the
23 question is, how was the seismic risk analysis
24 performed with respect to determining whether the
25 buildings and structures on the terminal site met the

1 state building code?

2 MS. BUMPUS: Dr. Crouse, could you come up
3 to the microphone?

4 DR. CROUSE: The structures at the
5 facility were designed to meet applicable codes. So
6 the state of Washington has adopted the 2012
7 International Building Code, which references the ASCE
8 7-10 standard for the determination of seismic loads
9 for building structures. So there are other types of
10 structures besides building structures at the site, as
11 you know.

12 MR. STONE: Well, I meant buildings and
13 structures.

14 DR. CROUSE: Yes. So I don't know whether
15 the State has adopted the ASCE 7 standard -- or the
16 ASCE 61-14 standard for piers and wharves, but that is
17 a standard that's out there designed -- or -- and
18 applies specifically for piers and wharves that's not
19 covered in the IBC.

20 MR. STONE: So the standards you're
21 referring to, do they take into account the seismic
22 hazards at the site with respect to geology and soils?

23 DR. CROUSE: Oh, yes, absolutely.

24 MR. STONE: And what sort of magnitude
25 seismic event are the standards based on?

Page 48

1 DR. CROUSE: The standards are based on a
2 probabilistic definition of the load, which considers
3 all possible seismic events. So, for example, it
4 includes the great earthquake on the Cascadia
5 subduction zone plus other regional earthquakes.

6 MR. STONE: Okay. Thank you.

7 CHAIR MARCUS: So just since we're on
8 our --

9 MS. ETKIN: I have an answer to the
10 question about when positive train controls will be
11 implemented in reference to the previous question.

12 And the information that I have is that
13 PTC is supposed to be present on all main line tracks
14 in Washington state by 2018. The completion of
15 wayside detector controls was implemented in May --
16 May 2016.

17 And according to the Federal Railroad
18 Administration, in February 2016 when we were
19 completing this analysis, BNSF Railway has targeted
20 the completion of the positive train control by 2018.

21 If that is not, in fact, true, then there
22 would be a higher likelihood of an accident. But that
23 was the information we had at the time.

24 Thank you.

25 CHAIR MARCUS: Thank you.

1 And just to follow up on the seismic, when
2 you talked about the building code, I understand that
3 there's more than just a structural code for the
4 building codes. There's electrical and mechanical.
5 And I'm wondering if that was part of your analysis.

6 DR. CROUSE: No. But that -- that would
7 obviously have to be considered in the design. All
8 applicable codes, mechanical, electrical, would have
9 to be followed.

10 CHAIR MARCUS: Mr. Siemann?

11 MR. SIEMANN: If his is following up on
12 this --

13 MR. ROSSMAN: It is.

14 CHAIR MARCUS: Go ahead.

15 MR. ROSSMAN: So in terms of the seismic
16 characteristics of the site, there's -- there are
17 ground improvements that are made, and those are very
18 specific to the conditions on the site. But then
19 there's the construction standards of the building and
20 risk category, for example.

21 And that -- am I right that that's
22 independent of the site, so that be would the same
23 wherever you were putting the facility in terms of
24 the -- those standards for the facility itself as
25 opposed to ground improvements?

Page 50

1 DR. CROUSE: I'm not sure I follow your
2 question. Are you talking about the risk categories
3 that -- you know, it -- it doesn't matter where this
4 facility would be located in terms of the risk
5 category that's assigned.

6 But the -- for this particular location,
7 the risk category affects the determination of the
8 seismic design category, which is really the important
9 category for seismic design, because it determines
10 not the level of load, seismic load that the facility
11 has to be designed to, but also the level of seismic
12 detailing.

13 So regardless of whether you're in risk
14 category 1, 2 or 3 for this particular location,
15 you're in the highest seismic design category for this
16 particular site, which is category D. So this is
17 going to require the higher seismic loads and also the
18 higher level of detailing.

19 Does that answer your question?

20 MR. ROSSMAN: Well, I think so. So that's
21 based on the site and the soils at the site?

22 DR. CROUSE: Yes, that -- right.

23 MR. ROSSMAN: So irrespective of the risk
24 category 2, 3, 4 --

25 DR. CROUSE: Well, it's irrespective of

1 risk category 1, 2 and 3. And the facility is -- when
2 you read the risk categories, it's really risk
3 category 2, not 3.

4 MR. ROSSMAN: Gotcha. Thank you.

5 DR. CROUSE: But it doesn't -- it doesn't
6 matter in terms of the seismic design category, which
7 is the most important category for determining the
8 seismic design loads and the detailing that goes into
9 the structures.

10 MR. ROSSMAN: So I thought I recalled that
11 there was a difference between some -- some factor
12 that was applied in risk category 2 and 3, and I think
13 2 was 1.0 and 3 was 1.25, and maybe I'm misremembering
14 that.

15 DR. CROUSE: No. That might be the
16 importance factor, which comes into play, but that's
17 not the risk category.

18 MR. ROSSMAN: How does the importance
19 factor relate to the seismic design standard? Can you
20 just explain what those different categories are?

21 DR. CROUSE: Well, different structures
22 will have different importance factors, so that's all
23 been taken into account. The codes are pretty well --
24 they define what importance factors should be used,
25 and so that's all taken into consideration. I don't

Page 52

1 remember the exact number that the applicant's using,
2 but it's spelled out pretty clearly in the code.

3 MR. ROSSMAN: Can you just relate those
4 concepts for me a little bit? The risk category, the
5 importance factor, the seismic category, how do those
6 interrelate?

7 DR. CROUSE: Well, going back to the risk
8 categories, as I mentioned, they -- they don't have
9 any -- 1, 2 and 3 don't -- don't affect the seismic
10 design category. All -- regardless of whether it's 1,
11 2 or 3, you're in seismic design category D. It
12 doesn't matter which one you assign.

13 But it -- the importance factor
14 indicates -- it affects the load that you're using in
15 the design. So it's either 1 -- I think 1.25 or
16 1.5 -- I'd have to go back and look -- but those
17 factors would be used to scale the load up depending
18 on what importance factor is assigned.

19 MR. ROSSMAN: And then I'm turning to a
20 related -- related matter. I -- the question that
21 came up in the context of the adjudication was water
22 service lines to the facility and whether water supply
23 would -- would still be available in the -- in a
24 seismic event. Did your analysis look at that
25 question at all?

1 DR. CROUSE: It did not.

2 MR. ROSSMAN: Okay. Thank you.

3 CHAIR MARCUS: Mr. Siemann?

4 MR. SIEMANN: Thank you.

5 And just following up on this line of
6 questioning, do any of these categories, the risk
7 category, the seismic design category, the importance
8 factor, do any of those take into account degree of
9 proximity to human populations?

10 DR. CROUSE: The risk categories -- I
11 think I'd have to look at the definitions of the risk
12 categories. I'm not completely familiar. I don't
13 have the code in front of me.

14 But certainly the -- you know, if you had
15 certain types of chemicals, hazardous chemicals, that
16 certainly would affect the risk category. This is a
17 facility that's -- does not have a high exposure in
18 terms of public. The public's not going to be allowed
19 on the facility. So in that sense, it would -- it
20 would be a lower risk.

21 MR. SIEMANN: Okay.

22 And actually, the questions I was wanting
23 to ask, if I may continue on, are actually about wake
24 stranding, as this will be a -- not directed towards
25 you.

Page 54

1 And the question is, in the public
2 comments on wake stranding, there was a contention
3 that wake stranding was at a higher risk, actually, in
4 armored areas of the river rather than unarmored areas
5 of the river.

6 And I don't know if this is accurate or
7 not. It was just a contention made in the public
8 comments. But I wanted to ask, was that investigated?
9 I know that the unarmored areas were looked at. Were
10 the armored areas looked at in terms of risk of wake
11 stranding?

12 MS. BETTS: Well, we basically had some
13 studies that had been done, you know, as kind of like
14 our background information as far as what's been
15 identified as where stranding occurs and things like
16 that. And the locations that were the -- that had
17 been studied were, you know, those shallow --
18 shallower subsurface as well as, you know, shoreline
19 areas where wake stranding was -- was -- and with
20 certain other kinds of curves, et cetera, that
21 resulted in quite a lot of wake stranding.

22 The studies -- at this point, the studies
23 believed that you needed to have certain kinds of
24 topographical features in order for stranding to
25 occur.

1 That's what they were finding. And at
2 this point, I would say, again, without necessarily
3 having all the data, not looking to see if stranding
4 occurred in where -- you know, where armoring has
5 occurred, but that was -- those were considered to be
6 the high risk locations for stranding. And I don't
7 think -- I don't think armoring -- armored areas were
8 as big of a concern.

9 MS. BUMPUS: No. I don't recall that
10 there's any detailed discussion about armored areas
11 specifically in -- on page 3-280 of the Chapter 3,
12 Assessment for Aquatics, there's a map that talks
13 about these points. But I don't think -- you know,
14 these points where stranding has been observed, but I
15 don't think that we have -- we're kind of looking in
16 here now and we don't see anything that's discussing
17 this topic specifically.

18 MR. SIEMANN: I believe the contention
19 came from one of the agencies, perhaps DNR, perhaps
20 Fish and Wildlife, so my expectation is that it was
21 coming with some knowledge behind it. And again, I
22 didn't notice anything in the EIS that sort of
23 addressed that issue, so I was just curious.

24 The other -- just continuing on on that
25 topic, it does note -- the EIS notes that Chinook make

Page 56

1 up about 82 percent of the documented strandings, and
2 that there are a number of other ESA species that are
3 not surveyed, but it suggests there are potentially
4 some ESA listed species that are going to be affected
5 by wake stranding.

6 And the EIS lists a number of mitigation
7 measures, but they are study and monitor and consider
8 modifying habitat based on that, that -- those studies
9 and the monitoring.

10 And what I'm curious about is what -- what
11 habitat modifications might be possible to reduce wake
12 stranding?

13 MS. BETTS: Well, first off, I believe the
14 monitoring was the last step after implementing the
15 mitigation. So the monitoring would be confirming
16 that the mitigation was effective. Is that correct?

17 The study would be the part that
18 determines exactly how much mitigation would need to
19 be implemented in order to, in one, way, shape or
20 form, mitigate the impacts of the proposal.

21 So we consulted with both DFW and we
22 consulted with -- we had some conversations with, I
23 believe, the services, or at least some -- maybe some
24 email conversations, and least some information
25 exchanged, as well as with our subject matter expert.

1 And some of the modifications that were
2 suggested were possibly structures in those -- kind of
3 like in the shallow areas, or basically along the
4 shoreline, such that they would disrupt the wakes so
5 that they would not actually move all the way up into
6 the area, into the super shallow areas and up onto the
7 shore, and create that kind of a wake that would push
8 the -- push the juveniles up onto the shore.

9 I'm not -- I haven't heard that that's
10 actually been implemented successfully, so that's --
11 that's just basically one of the possibilities.

12 Another possibilities [sic] are where it
13 would be, like, habitat improvement off -- off the
14 Columbia River, like in some of the side -- side
15 channels, et cetera, and rearing areas, could even be
16 wetlands, areas where the fish that would be stranded
17 and lost by the wake effects would be, you might say,
18 replaced by enhanced productivity in other locations
19 along the Columbia River.

20 There's a lot of -- I won't call it
21 exactly -- well, it is -- it is science, basically,
22 but there's a lot of processes that the services and
23 the -- and the fish biologists use to figure out
24 what's an appropriate form of mitigation, you know,
25 whether it's in kind, off site, all those kinds of

Page 58

1 factors that go into it.

2 So all those would -- all those
3 considerations would have to go into the process. The
4 monitoring would then be used to determine that, in
5 fact, the mitigation in itself was effective.

6 MR. SIEMANN: Okay.

7 There's also a suggestion to slow the
8 vessels. Do you have any data that suggests what
9 speed would be appropriate in order to reduce the risk
10 sufficiently?

11 MS. BUMPUS: No. We -- we don't have a
12 discussion that gets into what the appropriate speed
13 would be.

14 MS. BETTS: That is something, though,
15 that was definitely identified by the services as an
16 effective form of mitigation, should it be
17 implementable [sic]. But as you probably noticed,
18 that's not something that we could -- that we believe
19 we could require. But if it -- if it were implemented
20 in -- you know, in an effective way, then that -- that
21 could substitute for the mitigation that we've
22 identified.

23 MR. SIEMANN: So the exception of slowing
24 the vessels -- correct me if I'm wrong here, but it
25 sounds like we don't really have any data or

1 experience on the effectiveness of other mitigation
2 measures to reduce wake stranding itself; is that
3 accurate?

4 MS. BUMPUS: Can you repeat the question?

5 MR. SIEMANN: Well, the question is, do we
6 have any data on the effectiveness of -- of habitat
7 modifications, essentially, that would reduce wake
8 stranding?

9 MS. BETTS: I would say no. At this
10 point, it's basically a much newer impact that's been
11 identified, and I don't believe that there's any
12 record of mitigation having been implemented to deal
13 with it.

14 MR. SIEMANN: Okay.

15 And on a similar but broader scale
16 question, so this is obviously an ESA listed species.
17 There are a number of ESA listed species in the
18 Columbia River that would potentially be affected by
19 this project.

20 Is there in the EIS anywhere a kind of
21 assessment of the ESA -- the potential ESA-related
22 impacts that we should be considering?

23 MS. BUMPUS: We're -- we're
24 double-checking before we answer.

25 MR. SIEMANN: Okay.

Page 60

1 MS. KIDDER: So we have a discussion in
2 Chapter 3, specifically if you'll look at Table 3.6-2,
3 it lists protected fish and species of concern in the
4 study areas, in this case, predominantly along the
5 vessel corridor, although it does have, you know, some
6 rearing areas and whatnot along the rail and project
7 facility areas as well.

8 We do have a discussion about impacts to
9 fish overall, but specifically we do focus on some of
10 the ESA-listed species and what the impacts to those
11 would be.

12 MR. SIEMANN: Can you remind me the table
13 again?

14 MS. KIDDER: Yes, it's Table 3.6-2, and
15 you'll find it on page 3-228.

16 MR. SIEMANN: Thank you.

17 CHAIR MARCUS: Just following up on that
18 for wake stranding, did you say one of the mitigation
19 measures was replacement fish in another location?

20 MS. BETTS: Well, it would be enhancing
21 the habitat in a -- in a different location. I
22 believe those -- you know, on the Columbia River
23 somewhere, probably -- I'm guessing could potentially
24 be the lower 33 miles, but basically somewhere on the
25 Columbia River, either in side channels or side

1 streams or wetlands that wouldn't be impacted. And it
2 would be improving the habitat such that they would be
3 more productive and be able to basically produce more,
4 you know, for example, juvenile Chinook than they now
5 produce.

6 CHAIR MARCUS: Thank you.

7 Other questions?

8 MR. SIEMANN: I have a few more, if nobody
9 else --

10 CHAIR MARCUS: Sure.

11 MR. SIEMANN: All right.

12 This question addresses dock failure
13 and -- and some of the seismic issues. And so the EIS
14 notes that one of the larger potentials for failure in
15 a large earthquake would be the dock area. And it
16 offers mitigation measures that include finalize the
17 details of the design, confirm that the dock structure
18 is designed to withstand slope failure that could be
19 triggered by an earthquake, which seemed a little bit
20 vague.

21 And so what I'm asking here is, what are
22 the dock design modifications that are possible to
23 sufficiently reduce the risk of infrastructure damage
24 and spill due to liquefaction or slope failure?

25 DR. CROUSE: Are you talking -- do you

Page 62

1 mean the modifications that have been made since the
2 DEIS, or just --

3 MR. SIEMANN: What I'm --

4 DR. CROUSE: -- improvements in general?

5 MR. SIEMANN: So what I -- what I read in
6 the DEIS was that failure around the dock in an
7 earthquake was more likely than other areas. Let's
8 just say I'm not sure what the right terminology there
9 is.

10 And so the mitigation was suggested, and
11 what I'm looking -- what I'm asking for is, what
12 mitigation is actually possible to sufficiently reduce
13 the risk of infrastructure damage as a result of a
14 large earthquake in the dock area?

15 DR. CROUSE: Right. So let's go to some
16 graphics. Just a second. Let's start with 41.

17 So the dock area is shown on the right,
18 and we have a number of components comprising the
19 dock. First, in the upper part, you see a lot of blue
20 circles. This is the dock abutment, and this is going
21 to support one end of the trestle. It will carry the
22 pipeline to the ship.

23 So those blue circles, if you look at the
24 key on the lower left, represent six-foot diameter jet
25 grout columns that are banded together in a number of

1 rows. That was a design concept that the applicant
2 had proposed early on.

3 In back of those jet grout columns,
4 there's also deep soil mix panels. Both of these
5 concepts, jet grout columns and deep soil mix panels,
6 are soil-strengthening techniques to bring the soil up
7 to a certain strength to resist not only the
8 earthquake motion but the tendency for the embankment
9 to fail.

10 However, along the embankment itself, just
11 below that ground where the letter A is on that
12 diagram, the trestle is on an embankment, and it's
13 pile supported. So there are no soil improvements
14 along the embankment.

15 However, since the DEIS, we were concerned
16 about the strength of those piles to resist the
17 possibility of slope failure that would put an
18 additional load on the piles. So the applicant
19 proposed to reenforce the existing piles along the
20 dock area.

21 And if you go to slide 36, this is a
22 bird's-eye view of the improvements that have been
23 suggested since the DEIS. So look at the two color
24 codings, green and red. They indicate the type of
25 improvement that's being made to the existing piles.

Page 64

1 By the way, these are locations of
2 existing piles, and so there are two types of
3 improvements. The first type is simply to reinforce
4 the existing pile by inserting a smaller diameter
5 steel pipe pile. The existing piles are all steel
6 pipe piles. So the plan is to reinforce those piles
7 by adding a smaller-diameter steel pipe pile that fits
8 with inside [sic] the existing pile, and then grouting
9 up the free space with grout.

10 The second concept is the same as the
11 first, except it also adds a ground anchor which would
12 extend from the bottom of the improved piles into the
13 very dense soil. And this will tend to provide more
14 uplift resistance during the seismic shaking.

15 So these are the new concepts that are
16 being proposed, and we recognize that those are
17 definitely an improvement over what they had before,
18 which was no reinforcement.

19 So there's still some details to be worked
20 out, but the concept has merit. And we can go to
21 another slide which actually shows what these look
22 like, and that would be slide 37.

23 So on the left -- or I'm sorry, on the
24 right is a cross-section showing -- the outer circle
25 is the existing pile, 18-inch outside diameter, and

1 the circle just inside it is the proposed
2 modification, which is a new 14-inch diameter pipe
3 pile. And then in between that, and also going toward
4 the center is grout that fills the remaining area.

5 Then on the right -- or left -- sorry,
6 thank you -- it also shows some of the piles that have
7 the ground anchor that goes into the very dense soil.
8 So that provides additional capacity for a tendency of
9 those piles to uplift during the ground motion.

10 Does that answer your question?

11 MR. SIEMANN: It certainly gives me more
12 information about what is planned.

13 So is -- are these changes or these
14 design -- these designs, are they what was assessed in
15 the FEIS document?

16 DR. CROUSE: Yes. They presented these
17 concepts and we -- we looked at the results of their
18 calculations and requested additional information,
19 which we received, that provided additional
20 confidence.

21 But we still feel that there's more work
22 to be done to demonstrate the feasibility of this
23 concept during final design. But we're -- me,
24 personally, was satisfied with the amount of work they
25 had done to go forward and do additional work in the

Page 66

1 final design.

2 There's other options that may have to be
3 implemented. They could increase the thickness of the
4 pile they insert, for example, or they could reinforce
5 more piles along the trestle where the embankment
6 failure is going to take place if the earthquake is
7 big enough to induce it.

8 MR. SIEMANN: So what's your sense, if
9 they do all the things you are -- that they've agreed
10 to thus far, and the things that you believe they can
11 do when actually constructing this, what's your sense
12 of the probability that it will not fail in the event
13 of a significant earthquake?

14 DR. CROUSE: Well, we can never guarantee
15 nothing will fail, but I think they can demonstrate
16 that with the loads that -- the maximum loads that we
17 anticipate, that the design will work, that they'll be
18 under the capacity for catastrophic failure, which
19 would potentially lead to a spill.

20 MR. SIEMANN: Right.

21 And so all of these changes, there are
22 some now that are in -- that have been modeled in the
23 DEIS, or assessed in the DEIS -- I'm sorry, FEIS, my
24 apologies -- and then more that you're talking about.
25 How do these actually get memorialized or in some ways

1 ensured that they are actualized?

2 DR. CROUSE: Well, we think it's important
3 to continue the peer review to make sure that -- and
4 the applicant has even indicated that they would like
5 to see this peer reviewed as they go into final design
6 should they get the go-ahead.

7 But I'm -- what I've seen to date gives me
8 confidence that they can meet the requirements to
9 eliminate the --

10 MR. POSNER: And if I could just add, you
11 know, typically at this level of analysis of a
12 project, you do not have full, complete engineering
13 documents for the completed project. That's [sic]
14 typically comes later.

15 And so I would say this project we're much
16 further along in terms of the level of analysis based
17 on a certain percentage of completion in terms of what
18 we're looking at and trying to assess the impacts than
19 probably most projects, or many projects are before an
20 EIS is actually, you know, issued.

21 So there is -- there is some degree of
22 unknown, if you will, but -- and typically, you know,
23 the information that's needed to make those final
24 decisions, if you will, oftentimes comes later, you
25 know, after an EIS is issued; for instance, when

Page 68

1 certain permits are issued.

2 In the case of EFSEC, it may be if a site
3 certification agreement is issued, there are specific
4 conditions that are specified that the applicant or
5 certificate owner must meet before they could move
6 forward with construction.

7 And if it's -- you know, if it's
8 determined that there's going to be problems or issues
9 that can't be resolved, then more analysis may need to
10 be done. You know, there's situations where you might
11 have to do a supplemental analysis of some sort.

12 So I think at this point, some of these
13 questions, I think, can't be answered at this point in
14 time just based on the amount of information that we
15 typically have at this point in the review process.

16 MR. SIEMANN: Thank you.

17 CHAIR MARCUS: Any other questions from
18 councilmembers?

19 Okay. Then I'm going to thank Staff for
20 all of their work, and the consultants for the work on
21 this FEIS and for coming here today to answer our
22 questions. We appreciate that very much.

23 And that is it for our agenda, so if
24 there's nothing else for the good of the order, we
25 will be adjourned.

1 Thank you.

2 (Hearing concluded at 3:04 p.m.)

3

4 -o0o-

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Page 70

C E R T I F I C A T E

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF WASHINGTON)
) ss.
COUNTY OF KING)

I, ANITA W. SELF, a Certified Shorthand Reporter in and for the State of Washington, do hereby certify that the foregoing transcript is true and accurate to the best of my knowledge, skill and ability.

IN WITNESS WHEREOF, I have hereunto set my hand and seal this 1st day of December, 2017.

Anita W. Self



ANITA W. SELF, RPR, CCR #3032