

WASHINGTON STATE
ENERGY FACILITY SITE EVALUATION COUNCIL
Richard Hemstad Building
1300 South Evergreen Park Drive Southwest
Conference Room 206
Olympia, Washington
Tuesday, February 18, 2014

MONTHLY COUNCIL MEETING
Verbatim Transcript of Proceedings

REPORTED BY: ELIZABETH PATTERSON HARVEY, RPR, CCR 2731

A P P E A R A N C E S:

Councilmembers Present:

Bill Lynch, Chair
 Liz Green-Taylor, Department of Commerce
 Cullen Stephenson, Department of Ecology
 Andrew Hayes, Department of Natural Resources
 Dennis Moss, Utilities and Transportation Commission

Local Government and Optional State Agency
 (Via Telephone):

Christina Martinez, Department of Transportation
 Brian Snodgrass, City of Vancouver
 Jeff Swanson, Clark County
 Larry Paulson, Port of Vancouver

Staff in Attendance:

Stephen Posner
 Jim LaSpina
 Tammy Talburt
 Sonia Bumpus
 Kali Wraspir

Guests in Attendance:

Richard Downen, Grays Harbor Energy Project
 Mark Miller, PacifiCorp

Guests in Attendance Via Telephone:

Matt Baca, Earth Justice
 Kristen Boyles, Earth Justice
 Jennifer Diaz, Puget Sound Energy
 Shannon Khounnala, Energy Northwest
 Eric Melbardis, Horizon Wind Energy

* * * * *

OLYMPIA, WASHINGTON FEBRUARY 18, 2014

1:30 p.m.

-o0o-

P R O C E E D I N G S

CHAIR LYNCH: Good afternoon and welcome.
This is the February 18 regular Council meeting of the
Energy Facility Site Evaluation Council.

And if we could please have Staff call the
roll.

THE CLERK: Department of Commerce?

MS. GREEN-TAYLOR: Liz Green-Taylor here.

THE CLERK: Department of Ecology?

MR. STEPHENSON: Cullen Stephenson here.

THE CLERK: Department of Fish and
Wildlife?

(No response.)

THE CLERK: Department of Natural
Resources?

MR. HAYES: Andy Hayes is here.

THE CLERK: Utilities and Transportation
Commission?

MR. MOSS: Dennis Moss for the UTC.

THE CLERK: Local governments, Department

1 of Transportation?

2 MS. MARTINEZ: This is Christina Martinez
3 on the phone.

4 THE CLERK: City of Vancouver?

5 MR. SNODGRASS: Brian Snodgrass on the
6 phone.

7 THE CLERK: Clark County?

8 MR. SWANSON: Jeff Swanson on the phone.

9 THE CLERK: Port of Vancouver?

10 (No response.)

11 THE CLERK: Chair, there is a quorum

12 CHAIR LYNCH: Thank you. Bill Lynch is
13 here as the Chair, and Mr. Stohr from Fish & Wildlife is
14 excused.

15 And you see the proposed agenda in front
16 of you. Are there any proposed changes to the agenda?

17 Seeing none, let's move forward. Let's
18 turn to the minutes from the January 21 meeting. And I
19 have a small correction to be made. At the beginning of
20 the minutes, I was actually not the person calling the
21 roll. It was either Ms. Talburt or Ms. -- it was Ms.
22 Talburt. Thank you. So that was the only correction I
23 would make to the minutes.

24 Are there any other further changes to the
25 minutes?

1 I'll entertain a motion for adoption of
2 the minutes.

3 MR. STEPHENSON: I'll move for adoption.

4 CHAIR LYNCH: Do we have a second?

5 MR. MOSS: I'll second.

6 CHAIR LYNCH: It's been moved and seconded
7 that we approve the minutes from the January 21 meeting.
8 All those in favor say "aye."

9 MULTIPLE SPEAKERS: Aye.

10 CHAIR LYNCH: Opposed?

11 (No response.)

12 CHAIR LYNCH: Motion carries.

13 And could we please have those people who
14 are with us by telephone today identify themselves if
15 they choose?

16 MS. DIAZ: Jennifer Diaz, Puget Sound
17 Energy Wild Horse Wind Facility.

18 MR. PAULSON: Larry Paulson from
19 Vancouver.

20 MR. MELBARDIS: Eric Melbardis, EDP
21 Renewables, Kittitas Valley Wind Power Project.

22 MS. KHOUNNALA: Shannon Khounnala, Energy
23 Northwest.

24 CHAIR LYNCH: Thank you.

25 MS. BOYLE: Kristen Boyles, Earth Justice.

1 MR. BACA: Matt Baca, Earth Justice.

2 CHAIR LYNCH: Thank you.

3 I think we're ready to proceed to the
4 updates on the various projects. And we'll start first
5 with the Wild Horse Wind Power Project and Ms. Diaz.

6 MS. DIAZ: Thank you, Chair Lynch and
7 Councilmembers.

8 For the record, my name is Jennifer Diaz.
9 I'm the environmental manager for Puget Sound Energy at
10 the Wild Horse wind and solar facility.

11 The only non-routine update I have falls
12 under the "Safety" heading. A Vestas turbine service
13 technician was injured when a hatch door on the floor of
14 the nacelle fell on his middle finger. He was able to
15 climb down the turbine ladder on his own and went to the
16 emergency room, where he received stitches. He was back
17 at work the next day on light duty.

18 And Vestas is now working to identify a
19 more permanent solution for securing the hatch door when
20 it needs to be open.

21 And that's all I have. Are there any
22 questions?

23 CHAIR LYNCH: Thank you. Any questions
24 for Ms. Diaz?

25 No questions. Thank you, Ms. Diaz.

1 And now we're ready for the update from
2 the Kittitas Valley Wind Project. Mr. Melbardis?

3 MR. MELBARDIS: Yes, good afternoon, Chair
4 Lynch and EFSEC Council.

5 CHAIR LYNCH: Mr. Melbardis, could you
6 move a little closer to your telephone, please, or
7 whatever, but we're having a little trouble hearing you.

8 MR. MELBARDIS: Is that better?

9 CHAIR LYNCH: Not much better.

10 MR. MELBARDIS: Okay. It just must be my
11 connection today, because I'm right on my phone now.

12 There is nothing non-routine or out of the
13 ordinary to report for Kittitas Valley this month.

14 CHAIR LYNCH: So you're reporting -- I'm
15 just going to repeat what you said, just so people can
16 hear it -- that there's nothing out of the ordinary to
17 report this month; is that correct?

18 MR. MELBARDIS: Yes, that's correct.

19 CHAIR LYNCH: Thank you.

20 Any questions for Mr. Melbardis?

21 Now we're ready for the Chehalis
22 Generation Facility. Mr. Miller?

23 MR. MILLER: Thank you.

24 Good afternoon, Chair Lynch and
25 Councilmembers. My name is Mark Miller. I'm the manager

1 of the Chehalis Generation Facility.

2 I have no nonroutine events to report for
3 the previous month.

4 I'll continue with our no lost time safety
5 record of over 4,000 days.

6 We've met all environmental permits and
7 conditions of our permits.

8 And that's it. Any questions?

9 CHAIR LYNCH: Any questions for Mr.
10 Melbardis?

11 MR. STEPHENSON: I have one.

12 CHAIR LYNCH: Excuse me. Mr. Miller. I'm
13 sorry.

14 MR. MILLER: That's okay. Very close.

15 CHAIR LYNCH: You've been called many
16 things. My apologies.

17 Mr. Stephenson?

18 MR. STEPHENSON: I'm just interested, 4091
19 seems like an impressive milestone. What is the
20 standard?

21 MR. MILLER: You know, I don't really know
22 what the standard is. It's a small operating staff that
23 maintains a very conscious work -- safe work environment,
24 peers looking out for peers.

25 I think the number of man hours for

1 Chehalis is very low in comparison. You know, we only
2 have 19 permanent staff vs. a larger generation facility.
3 But we still value that.

4 Sorry I don't have any statistical
5 information. But it is important that everybody goes
6 home every day safely.

7 MR. STEPHENSON: Thank you.

8 CHAIR LYNCH: Thank you.

9 Now if we could have an update on WNP-1/4
10 from Ms. Khounnala.

11 MS. KHOUNNALA: Yes, this is Shannon
12 Khounnala from Energy Northwest.

13 And for our update on WNP-1/4 this month,
14 our application for water rights is proceeding as
15 scheduled. We had an informal conference call with the
16 Department of Energy and Ecology, as well as the
17 Department of Ecology has drafted the public notice,
18 which we expect to be published probably sometime next
19 month.

20 We're also working with both agencies to
21 set up a site visit for the facility, WNP-1/4, sometime
22 in the spring.

23 So at this point we are proceeding with
24 the application as planned. Are there any questions
25 about 1 and 4?

1 CHAIR LYNCH: Any questions for Ms.
2 Khounnala on 1 and 4? No questions.

3 So Ms. Khounnala, can you please give us
4 an update about the Columbia Generating Station?

5 MS. KHOUNNALA: Certainly. In regard to
6 the Columbia Generating Station, outside of what was
7 presented in the report that Councilmembers have, we
8 don't have any other outstanding issues to report,
9 nothing out of our routine.

10 CHAIR LYNCH: Any questions for Ms.
11 Khounnala?

12 Thank you, Ms. Khounnala.

13 And could we just get a quick update from
14 Staff when -- on the comment hearing we're going to have
15 regarding the Columbia Generation Station NPDES permit?

16 MR. LASPINA: Yes, Chair Lynch. Good
17 afternoon Councilmembers.

18 We started the public notice period for
19 the Columbia Generating Station NPDES permit on February
20 3.

21 We have a public hearing scheduled for
22 March 6 at 1:30 here. And that hearing is just to accept
23 public comment. And the public comment period will close
24 at 5:00 p.m. on March 14.

25 CHAIR LYNCH: Thank you, Mr. LaSpina.

1 And just for the Councilmembers' benefit,
2 you're certainly welcome to attend this particular
3 comment hearing, but the comments will in fact be
4 provided to the Councilmembers later.

5 In fact, the EFSEC is required to respond
6 to all comments, and you'll be getting comments of the
7 responses as well. So you're certainly welcome to attend
8 this, but you'll be getting all that information later.

9 Thank you, Ms. Khounnala.

10 Mr. Downen, Grays Harbor Energy Project.
11 You're already there at the microphone. You're way ahead
12 of me. Thank you.

13 MS. DOWNEN: Good afternoon, Chair Lynch,
14 Councilmembers. My name is Rich Downen. I'm the plant
15 manager at Grays Harbor Energy.

16 The operational report that you have in
17 your packets, the only things that are out of the
18 ordinary to talk about are that we submitted a sound
19 monitoring -- the results of a sound monitoring survey
20 per our site certification agreement. The survey was
21 performed at the plant at full power. And the results
22 that we received show that the facility is in compliance
23 with limits set forth in Washington Administrative Code
24 173-60-40.

25 And then the next bulleted item is that In

1 the month of January we submitted written notification to
2 EFSEC regarding a late December NPDES permit discharge
3 outside of our permit limits due to pH, and that's an
4 agenda item for us to discuss. So I'm ready to answer
5 questions regarding that.

6 CHAIR LYNCH: Thank you.

7 Are there any questions for Mr. Downen
8 before we hear from Staff about the proposed Council
9 action? No.

10 Thank you, Mr. Downen.

11 Mr. LaSpina?

12 MR. LASPINA: Good afternoon, Chair Lynch
13 and Councilmembers.

14 On December 25, 2013, the Grays Harbor
15 Energy Center discharged approximately 4,900 gallons of
16 wastewater to the Chehalis River that violated the
17 minimum pH limit in the facility's NPDES permit.

18 In your packets there are two documents
19 related to this incident, a draft Notice of Incident, or
20 NOI, and a short cover memo. And these are the -- on
21 white paper on the right side of your packets.

22 The NOI describes the relevant permit
23 requirements, the circumstances of the violation, and
24 EFSEC Staff's recommendation.

25 The first note on the permit requirement,

1 Table 1 in the NOI, was from the 2008 version of the
2 permit and was slightly modified in 2010. The
3 modification altered the format of the pH limits, but not
4 the limits themselves. Discharges below a pH of 6.0 are
5 prohibited by all -- by both permits. So there's no
6 substantial difference between the permits; however, I
7 wanted to point that out to you.

8 The circumstances of the violation are
9 briefly described at the bottom of page 2.

10 If you have any questions regarding the
11 incident, how the incident occurred, and the permittee's
12 follow-up actions, Mr. Downen and Mr. Valenski would be
13 available to answer those questions.

14 Regarding the basis of EFSEC Staff's
15 recommendation to the Council to approve issuance of the
16 Draft NOI, I do have some supplemental information that
17 more fully describes the rationale of Staff's
18 recommendation. Apparently there was not enough -- that
19 wasn't well described.

20 EFSEC Staff works off of Chapter 463-70
21 WAC as far as the compliance enforcement options that
22 Staff and the Council have. The Council chooses an
23 approach for enforcement based on four criteria: The
24 seriousness of the apparent violation, the potential
25 danger to humans or the environment, the willingness and

1 the ability of the violator to make required corrections,
2 and the speed with which corrective action should be
3 taken.

4 So in other words, this is basically
5 elements of due diligence once an incident actually
6 occurs.

7 The range of actions allowed by the WAC
8 are emergency action by the Chair, a Notice of Incident
9 and Request for Assurance of Compliance, and a notice --
10 or a Notice of Violation with a potential to go to a
11 monetary penalty. So those are the three options for
12 enforcement.

13 I'm just about done here.

14 A Notice of Incident and Request for
15 Assurance of Compliance is appropriate if the violation
16 is being corrected quickly and effectively by the
17 violator, the violation did not cause any substantial
18 danger to humans or the environment, and a penalty does
19 not appear to be appropriate in light of the seriousness
20 of the violation or as an incentive to secure future
21 compliance.

22 So EFSEC Staff basically reviewed the
23 various enforcement options, and our recommendation for
24 you to approve issuance of an NOI is based on the fact
25 that the circumstances of this incident appear to fit

1 those outlined by a Notice of Incident.

2 So that's what I have. Any questions?

3 CHAIR LYNCH: Any questions for Mr.
4 LaSpina?

5 MR. HAYES: Yes, Chair. I have a
6 question.

7 CHAIR LYNCH: Yes.

8 MR. HAYES: Jim, could you tell me what
9 would be the conditions under which one of the other
10 recommended actions would come from Staff?

11 You have two other ones?

12 MR. LASPINA: Yes. Emergency action by
13 the Chair is generally when a violation is so egregious
14 that human health or the environment is adversely
15 impacted and the violator doesn't appear to be working to
16 address the situation, those sorts of things.

17 As far as the NOV -- so what we have is a
18 set of gradations here.

19 The emergency action by the Chair is
20 generally for the most egregious sort of incidents.

21 And then you have a Notice of Violation,
22 which is somewhat in the middle, to where there might --
23 this might be a repeat violation, the facility has had
24 general compliance problems over a period of time, they
25 did not react quickly to correct the situation, or they

1 don't even -- sometimes facilities aren't even inclined
2 to correct a situation. But yet it doesn't rise to the
3 adverse effect to the environment or human health.

4 Notice of Incident is the lowest level of
5 action. It puts the facility on notice. It's akin to a
6 warning letter. It does acknowledge that quick action
7 was taken and that the facility took measures to help
8 prevent the action from ever happening again in the
9 future. But a Notice of Incident is a way to document
10 such an incident.

11 And then typically what will happen is if
12 the same thing were to happen again, then you would step
13 up the level of enforcement to perhaps an NOV or
14 emergency action.

15 MR. HAYES: So I understand from that
16 explanation that this incident did not cause an
17 environmental or human health risk and that there's not
18 any history of this type of incident?

19 MR. LASPINA: Well, to be frank, when the
20 facility first began operation in 2008, there was a
21 problem with the pH system. The pH system was found to
22 be completely inadequate to the demands put on it. So
23 the facility basically replaced the entire pH system.

24 And they also installed continuous
25 monitoring. So actually we have very good data.

1 But since then, there hasn't been problems
2 with the pH that come to mind.

3 The other thing I'd like to point out,
4 which is also in the draft NOI, is that the facility is
5 nearing the end of finishing an engineering report, which
6 will finalize the effluent limits, the monitoring
7 requirements, and a lot of other requirements that are
8 connected to compliance.

9 So typically -- typically regulators give
10 a facility the benefit of the doubt when they're in the
11 midst of an engineering report because the compliance
12 requirements are still a little bit vague.

13 CHAIR LYNCH: Thank you, Mr. Hayes.

14 I believe there's more questions. Mr.
15 Stephenson?

16 MR. STEPHENSON: Thank you, Mr. Chair.

17 Mr. Downen, or your facility engineer, I
18 just would like to hear your story. You know, I see from
19 this report that some low pH material -- that would be
20 acidic material -- got into the Chehalis River, but I
21 can't tell what happened. And as an old facility person,
22 I would like to know what your version of the story is so
23 I can make a determination on what happened.

24 MR. DOWNEN: So the -- our cooling tower
25 basin is where we pump river water into that basin. And

1 that's our primary heat sink to remove -- reject heat
2 from the process. And that's where the cooling tower
3 blowdown, it cycles up, so you get -- contamination is
4 built up in that system. So there's a need to blow that
5 down. And that's the primary stream that goes to the --
6 it's the only stream that goes to the Chehalis River.

7 Other streams are added to the cooling
8 tower from, you know, a few different places in the
9 plant. So they all go there.

10 And then that outfall from that place is
11 the only -- that's the stream that leaves site. And
12 that's where we monitor.

13 So one of the waste streams from the plant
14 that goes there is from our neutralization tank. And so
15 part of that, we bring in river water.

16 Sorry if I go into too much detail.

17 We bring in river water to the site. Part
18 of that goes to the cooling tower for makeup because we
19 evaporate a lot of that away.

20 And then a small percentage of that we
21 send through our demineralized water plant to make high
22 quality demin water makeup for the boiler. Part of that
23 process is a resin exchange process. And when that resin
24 is used up, you have to recharge it with acid and
25 caustic. And then those -- the waste -- and you flush

1 that. And it goes into the neutralization tank that just
2 gets -- it gets loaded with byproducts of that process of
3 making good demineralized water. So that water is in the
4 neutralization tank. And then we neutralize it, and then
5 it gets dumped to the cooling tower when it's neutral.

6 So this -- we were in the process of
7 making demineralized water, and we got, you know, some
8 byproduct in that tank. And guys were working on it one
9 day to get it neutralized, I believe on Christmas Eve.

10 And then they left, and some more steps
11 were done by the night shift crew, and it wasn't -- the
12 turnover didn't happen very well.

13 So it wound up with the guys who came in
14 on Christmas Day were the guys that worked on it the day
15 before. So they came in and thought that one situation
16 existed, and they started draining that water to the
17 cooling tower, not thinking it was going to adversely
18 impact pH, and it did.

19 And normally that wouldn't be a problem.
20 We could have just about anything in that cooling tower
21 unless we're outfalling and flowing it to the river. And
22 then that discharge stream is being monitored.

23 So really what -- so then as pH dropped,
24 the outfall system, which is our -- is the cooling tower
25 below downstream that's going to go to the Chehalis

1 River, has pH monitoring and temperature monitoring and a
2 bunch of continuous monitoring that Mr. LaSpina talked
3 about.

4 And the logic for that control valve is
5 such that if you -- say pH is at 7, which is good, that's
6 neutral. And as pH drops, as it hits 6.5, that valve by
7 design is going to pinch back to about 10 percent flow.
8 And it gives you an alarm and says, hey, this is getting
9 low. You should check what's going on.

10 So that's -- the guys started to do that,
11 and they went out to look to see if -- and you know, they
12 weren't expecting this response, so they went out to see
13 if maybe the pH probe is reading incorrectly or
14 something. pH continued to drop.

15 And at 6.0, that valve is supposed to shut
16 off completely. Same thing happens at 8 and a half or 9
17 if we're going in a caustic direction.

18 And so at 6 percent or at 6.0 pH units,
19 the valve didn't go shut. It went -- so let me back up
20 just a minute.

21 When you reach 6.5, or 8.5 if we're going
22 in the other direction, the valve pinches back alarms.
23 And it starts a timer and says if you don't fix this in
24 ten minutes, the valve goes fully shut.

25 Or if it reaches 6.0 it goes fully shut

1 immediately.

2 The controls for that valve, we
3 investigated and found they were not set up correctly
4 from back in 2007, 2008, during commissioning.

5 So the timer was set for a much longer
6 time period than ten hours -- or ten minutes than it was
7 supposed to be. So it was set for ten hours. And
8 although the logic was set up for the valve to go fully
9 shut, the valve didn't go fully shut at 6.0.

10 So by the time -- you know, it took a
11 period of time for these guys to figure out the system
12 was not responding as required, and they took action and
13 shut the valve.

14 And since then we've figured out that the
15 logic to the valve was corrupt. And we had a contractor
16 come in, and they've rebuilt the logic for that valve,
17 and we've tested it and it works exactly as designed now.
18 So that's the chain of events.

19 Any questions about any of those
20 details?

21 CHAIR LYNCH: Please feel free to follow
22 up.

23 MR. STEPHENSON: Thanks, Mr. Chair.

24 Just to be clear, it sound like there was
25 both a mechanical or equipment failure, and a -- I don't

1 want to call it a human failure because I don't think it
2 was, but people trying to fix the problem and trying to
3 get to it, but it was exacerbated by lots of things, and
4 especially this control valve that was kind of set up the
5 wrong way. Is there a way we can find out if that's been
6 done?

7 I don't know, Staff, Jim or Stephen, can
8 you confirm that you know that it's been redone to the
9 correct specifications now?

10 MR. LASPINA: We do not have the resources
11 to confirm that at this time. I mean we don't have an
12 on-staff engineer. So.

13 MR. POSNER: So if I could add one thing
14 to that, one thing that we would, as part of the NOI, we
15 would require Grays Harbor Energy to certify, provide an
16 Assurance of Compliance, which would be -- that would be
17 one thing that we would ask them to assure, that that has
18 been resolved.

19 We currently are in the process of
20 developing a task order with the Department of Ecology to
21 provide us technical support in those areas. But at this
22 time, that task order hasn't been finalized.

23 But we would ask for an Assurance of
24 Compliance from them, and that would be certified. So
25 just to follow up on what Jim said.

1 MR. STEPHENSON: Great. As you know,
2 Stephen, I'm not really allowed to talk to my Ecology
3 counterparts, being an EFSEC Councilmember, so I can't
4 ask them these same questions sometimes. So it's helpful
5 to know what you're finding out.

6 So Rich, you're assuring us that you've
7 got this thing under control and we can watch and see the
8 pH will be --

9 MR. DOWNEN: That's correct.

10 MR. STEPHENSON: -- done correctly from
11 here on out?

12 MR. DOWNEN: To tell you what our retest
13 was, we can simulate any parameter. So we gave it a
14 signal that said, you know, the valve, without flow being
15 established, said okay, so pH is dropping, the alarm
16 comes in, the timer starts, pH reaches 6.0, and the valve
17 goes shut.

18 So we have performed all of the retests
19 that assures us that the valve will function in both
20 directions.

21 MR. STEPHENSON: And it's operating, then,
22 correctly with no issues?

23 MR. DOWNEN: Yes.

24 MR. STEPHENSON: Great.

25 CHAIR LYNCH: And just one quick follow-up

1 before Mr. Moss. That retest that you mentioned, that
2 will be part of the documentation that you send us as
3 part of the notice of correction?

4 MR. DOWNEN: Yes.

5 CHAIR LYNCH: Thank you.

6 Mr. Moss?

7 MR. MOSS: Not to try to turn this into an
8 investigation from the bench during our meeting here, but
9 Mr. Downen, there were a couple of things you said that
10 concern me. I thought I understood you to say that there
11 were three crews involved: There was a crew on December
12 24 that was then replaced by a night crew, and then the
13 previous crew came back on on the 25th.

14 And I thought I understood you to say that
15 when the December 24 day crew came on again on December
16 25, they thought the night crew had done something that
17 the night crew had not done?

18 MR. DOWNEN: No. They thought that they
19 hadn't done anything and that they left -- because they
20 had left -- when the crew on the 24th left, they said,
21 We're working on this, leave it for us, we'll take care
22 of it in the morning.

23 And then the guys on nights did do a
24 little bit. And it was lost in turnover.

25 So those guys thought, okay, we're

1 starting back where we were, when in actuality they
2 weren't.

3 And it feeds into the stream of things
4 that, you know, leads to ultimately there's water that we
5 shouldn't be discharging that we are.

6 But ultimately, it shouldn't matter what's
7 in the cooling tower basin as long as we take the right
8 steps before we start flowing to the Chehalis River, and
9 as long as the system works properly once we do. And
10 that's where the -- ultimately the problem --

11 MR. MOSS: But it does seem that there was
12 some miscommunication or lack of communication between
13 the two crews, as they say. You say the handoff went
14 poorly or something?

15 MR. DOWNEN: That's correct.

16 MR. MOSS: And the concern I have is, is
17 there any sort of an effort underway to try to remediate
18 that kind of miscommunication?

19 I was thinking there might be logs kept by
20 the respective crews of what they did and did not do, and
21 that the first thing a new crew coming on should do is
22 check those logs and see where they stand.

23 MR. DOWNEN: There is a log. And that is
24 one of the things that's covered in turnover. And it's
25 covered in our turnover discussions.

1 But there are times when things don't get
2 turned over. And that's the downside of having, you
3 know, people on rotating shifts that have to turn over
4 things. So we do have procedures that cover that,
5 required log entries. And that was one of the corrective
6 actions, was to talk about turnover and documenting
7 everything that's done.

8 MR. MOSS: Well, I think that's some
9 reason for concern.

10 The other matter I wanted to bring up to
11 you is as I understood what you said, those controls were
12 not set up correctly when they were installed, I believe
13 you said years ago.

14 MR. DOWNEN: I believe that it was done at
15 the commissioning of the plant.

16 MR. MOSS: Right. My question is, if this
17 thing is as easily tested as you described it to be, why
18 hasn't there been any test of this important system in
19 years to determine this problem was in place before
20 something bad happened?

21 And similarly related to that, are there
22 other systems that may similarly have gone untested for
23 years and you don't know whether they're properly
24 programmed or not?

25 Since this one wasn't, there might be

1 others. And my question is, are these things not
2 routinely tested to make sure they're set up right and
3 functioning correctly?

4 MR. DOWNEN: So I'm trying to think how --
5 this is a multiquestion.

6 MR. MOSS: Well, it's not that
7 straightforward, perhaps, but I can simplify it if you
8 like.

9 MR. DOWNEN: No. So there are -- I don't
10 know, we have 3500 inputs that come into the control
11 system, and I don't know how many, 1,000 control loops in
12 the plant. And, you know, it's just all logic written
13 into a computer. So we -- I'd say the ongoing testing is
14 seeing that these things work.

15 During commissioning, there were --
16 there's documentation that it was set up correctly, and
17 this is obviously a loop that did fall through the
18 cracks.

19 I will say that we had this discussion
20 ourselves as Staff.

21 And when we brought in this consultant,
22 who is similar to a person -- they've got the same skill
23 set as the person who would write the logic and
24 commission the control system at the commissioning of the
25 plant. And he's been going through loop by loop,

1 validating that the controls are set up correctly.

2 So we are tackling it as an entire control system check.

3 MR. MOSS: So it sounds like you are doing
4 now what I would think would need to be done, which is
5 checking the entire control system and make sure there's
6 not some other system in there that was similarly
7 misprogrammed, if that's the right way to put it.

8 MR. DOWNEN: That was our concern, was
9 that this most likely is not the only mistake that's in
10 this extremely elaborate control system.

11 MR. MOSS: That was my concern as well.

12 And then finally I'm going to note a
13 technical correction for the record. The memo, cover
14 memo from Mr. LaSpina dated February 18, has an incorrect
15 date. In the second paragraph I believe that should say
16 December 25, 2013.

17 And thank you, Mr. Downen, for that
18 explanation.

19 MR. DOWNEN: You're welcome.

20 CHAIR LYNCH: Thank you, Mr. Moss.

21 And Ms. Green Taylor has a question.

22 MS. GREEN-TAYLOR: Yes, thank you, Chair.

23 I assume that the reason there was no
24 danger to the environment is because of some combination
25 of low volume and short duration. So I can put it into

1 context in my mind, what -- at what point in the volume
2 of the discharge or the time, the length of the
3 discharge, would it have become a danger?

4 MR. LASPINA: Well, typically what we
5 would look for in a situation like this would be impacts
6 to humans or fish. So for instance, if we had found dead
7 fish carcasses or something downstream, that would be a
8 clear indication.

9 MS. GREEN TAYLOR: Okay. So there's not a
10 set standard that you would -- beyond which you would
11 assume that there was in fact danger; that you would
12 actually have measured some loss in order to confirm that
13 there was in fact a danger?

14 MR. LASPINA: Danger to the environment or
15 human health, yes.

16 I mean, I can't -- we look forward to
17 having some technical support from Ecology to help us
18 determine, for instance, if -- with that technical report
19 we could have modeled the discharge and the pH going down
20 the river. We could have figured out how far it would be
21 out of compliance. And we could quantify the violation
22 better. But at this time we don't have those resources.

23 However, we did not receive complaints, or
24 there were no reports of fish kills or anything. So at
25 this time, that's what we have.

1 MS. GREEN-TAYLOR: Okay. Thank you.

2 CHAIR LYNCH: Any more questions?

3 And I think a lot of it depends on what's
4 being discharged. pH is different than if you're --
5 higher pH water as opposed to some, oh, like copper going
6 into the water, which affects fish, and other sorts of
7 things that can be discharged in the water. So the
8 potential harm is, I guess, based partly on what's being
9 discharged.

10 But you all bring up a good point. I had
11 a conversation with Staff about having that agreement put
12 together with Ecology sometime in the near future. And
13 that is one of our priorities because we need to be able
14 to identify -- we need help in identifying the extent of
15 what some of these concerns might be so we can take
16 proper enforcement action.

17 Any further questions?

18 Thank you.

19 And I think what I would like to do at
20 this point in time is to take, if there's no further
21 discussion, to take Council action on the proposed Notice
22 of Incident and Request for Assurance of Compliance.

23 I've talked to Staff a great deal about
24 this prior to this hearing today, and Councilmembers have
25 asked all very good questions of the witness.

1 And it's my recommendation that we do
2 authorize the Staff to issue the Notice of Incident and
3 Request for Assurance of Compliance.

4 MR. MOSS: And I have a question in that
5 regard. The Assurance of Compliance -- Mr. LaSpina,
6 perhaps the question is to you, perhaps someone else; I'm
7 not sure.

8 But what I would be looking for in this
9 connection would be some follow-up to what Mr. Downen
10 described, perhaps a report from this consultant or
11 whoever is checking all these systems out that says,
12 Well, we checked out these out and they're all fine and
13 there was just this one this aberration, or we found ten
14 more and they've been fixed, or whatever the case may be;
15 just some sort of follow-up so we know the results of
16 this effort that's ongoing.

17 And then second, I would want to know if
18 there's been any effort beyond simply saying, "Gosh, you
19 shouldn't have done that" in terms of educating or
20 refreshing the Staff as to its responsibilities in the
21 shift changes to be sure that they understand what the
22 shift before has or has not done so that they don't
23 exacerbate or cause some problem as a result of operating
24 on an assumption that turns out not to be valid. So I
25 would like to see those sorts of things.

1 And with that, I could support the Chair's
2 inclination in that regard if we have those assurances
3 here today. Mr. LaSpina?

4 MR. LASPINA: We can require those
5 elements that you just mentioned in the Assurance of
6 Compliance, yes.

7 MR. MOSS: Thank you.

8 CHAIR LYNCH: Any other discussion?
9 All those in favor signify by saying
10 "aye."

11 MULTIPLE SPEAKERS: Aye.

12 CHAIR LYNCH: Opposed?

13 (No response.)

14 CHAIR LYNCH: Motion carries. Thank you.
15 Let's go ahead and turn to the update on
16 the Tesoro/Savage Vancouver Energy Distribution Terminal.
17 Ms. Bumpus?

18 MS. BUMPUS: Good afternoon, Chair Lynch
19 and Councilmembers. Just a few items to update you on
20 for the Tesoro/Savage oil terminal project.

21 On the matter of the SEPA scoping report,
22 EFSEC Staff has been working with our consultant to
23 complete the scoping report, and we plan to have an
24 electronic copy of that report by the end of this week
25 available to you.

1 On the matter of the application for the
2 site certification, EFSEC received an amended -- or an
3 amendment to the application for site certification on
4 January 27, and after doing a general review both by
5 EFSEC Staff and EFSEC's consultant, the amended
6 information appears to be in such detail as to enable
7 further review of the application.

8 We do plan to do a more detailed review, a
9 more technical review of the amended information, and
10 we'll be continually updating Council on that, on that
11 process.

12 That is the conclusion for my updates.
13 And I'd be happy to answer any questions or hear any
14 concerns from Council.

15 CHAIR LYNCH: Would you please remind the
16 Council about our upcoming meeting in Vancouver?

17 MS. BUMPUS: On March 11, there is a work
18 session scheduled in Vancouver, Washington. I don't know
19 the time. But we can get that information to you.

20 MR. POSNER: I can add that the time is
21 1:00. We're scheduled from 1:00 and -- I believe 1:00 to
22 4:00 or 5:00.

23 CHAIR LYNCH: And I assume this
24 supplemental information that was provided to
25 Councilmembers also was provided to Council for the

1 Environment?

2 MS. BUMPUS: It is available on our
3 website, but I don't believe we've actually sent anything
4 to the Council for the Environment. But it is available
5 on the website.

6 MR. POSNER: Let me just add something to
7 that. What we wanted to do is -- and I sent an e-mail to
8 all Councilmembers a week or two ago just asking if you
9 have any concerns about the information. We've provided
10 the information to Councilmembers. It is on our website.
11 We've made it basically a general review of the
12 information. We believe it's sufficient to continue our
13 review.

14 And then after today's meeting, assuming
15 there are no Councilmember's concerns, we were going to
16 provide a wider distribution, which would be Council for
17 the Environment.

18 We wanted to just make sure that because
19 our WAC specifically talks about as determined by the
20 Council, you know, as the EFSEC manager, I've made that
21 determination. And I'm requesting any feedback from
22 Councilmembers if you have any -- any concerns you might
23 have with the information.

24 Otherwise, our recommendation is to
25 continue moving forward with our review of the

1 application.

2 CHAIR LYNCH: And if Councilmembers
3 discover something later, they can certainly flag it for
4 you.

5 MR. POSNER: Exactly. As I explained and
6 as you all should know about our process, it's sort of an
7 evolving process. New information becomes available to
8 the Council as we go through our process, updates get
9 made, and this applies to our SEPA review as well as our
10 application review.

11 And it's not until final recommendation is
12 made to the governor that the Council essentially has to
13 provide some assurances that the application is 100
14 percent complete.

15 CHAIR LYNCH: Any questions?

16 MR. HAYES: Yes, Chair?

17 CHAIR LYNCH: Mr. Hayes?

18 MR. HAYES: So just to be clear, all of
19 the most up-to-date information on the application for
20 site certification is contained on the CD, the most
21 recent CD we have?

22 MS. BUMPUS: Yes.

23 MR. HAYES: Okay. Thank you.

24 CHAIR LYNCH: Any other questions?

25 Anything that Staff needs to bring to our

1 attention?

2 Hearing none, we are adjourned. Thank
3 you.

4 (Whereupon, the proceedings were
5 concluded at 2:17 p.m.)
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

STATE OF WASHINGTON

COUNTY OF KING

I, Elizabeth Patterson Harvey, a Certified Court Reporter in and for the state of Washington, do hereby certify that the foregoing transcript of the proceedings is true and accurate to the best of my knowledge, skill and ability.

IN WITNESS WHEREOF, I have hereunto set my hand this 26th day of February, 2014.

ELIZABETH PATTERSON HARVEY, CCR RPR

My license expires:
DECEMBER 2014

Kittitas Valley Wind Power Project

Monthly Project Update

February 18, 2013

Project Status Update

January Production Summary:

MWh 11,782 MWh
Wind 4.7 m/s or 10.5 mph
CF 15.7%

Safety:

No incidents

Compliance:

Project is in compliance as of February 14, 2014.

Sound:

No complaints

Shadow Flicker:

No complaints – automatic curtailments on A1 & A2 have resumed.

Environmental:

No stormwater discharge to report.
All stormwater BMPs have been rebuilt and the project is ready for winter.

January, 2014

EFSEC Monthly Operational Report

Safety:

- There were no accidents or injuries in the month of January.

Environmental:

- Submitted the December Discharge Monitor Report for Outfall 001.
- Submitted fourth quarter Emissions Discharge Report.
- Submitted sound monitoring results per our Site Certification Agreement. The survey was performed with the plant at full power. Results showed the facility to be in compliance with the limits set forth in Washington Administrative Code (WAC) 173-60-040.
- Submitted written notification to EFSEC regarding a late December NPDES permit discharge outside of our permit limits due to pH.

Operations & Maintenance:

- Grays Harbor operated 11 days during the month of January, producing 91,326 MW.
- The capacity factor (CF) was 19.8% in January, and 19.8% YTD.
- The availability factor (AF) was 100% in January, and 100% YTD.

Noise and/or Odor:

- There were no complaints made during the month of January.

Site Visits:

- There were no site visits made during the month of January.

Other:

- None

**Chehalis Generation Facility----Monthly Plant Report to the Washington Energy
Facility Site Evaluation Council – January 2014**

1813 Bishop Road Chehalis, WA 98532
Phone (360) 748-1300, FAX (360) 740-1891

10 February 2014

Safety:

- There were no recordable incidents this reporting period and the plant staff has achieved 4091 days without a Lost Time Accident.

Environment:

- Storm water and waste water monitoring results are in compliance with the permit limits for the month of January 2014.

Personnel:

- Authorized plant staffing level is currently 19 with 19 positions filled.

Operations and Maintenance Activities:

- The Plant generated 235,160 megawatt-hours at a capacity factor of 62.15% for the month of January and the year-to-date capacity factor is 62.15%.

Regulatory/Compliance:

- There were no air emissions deviations, waste-water or stormwater exceedances or spills during the month of January 2014.

Other:

- Sound monitoring: There were no noise complaints to report.

Mark A. Miller
Manager, Gas Plant
PacifiCorp-Chehalis Power
1813 Bishop Road
Chehalis, WA 98532
360-827-6462

E-mail: mark_a.miller@pacificorp.com

Below is the monthly operational/compliance update for Wild Horse. Please let me know if you have any questions.

Wind Production: January generation totaled 30,993 MWh for an average capacity factor of 15.3%.

Solar Production: The Solar Demonstration Project generated 31.2 MWh.

Safety: A wind turbine technician was injured when the hatch door on the floor of the nacelle fell on his finger.

Compliance/Environmental:
Nothing to report.

**Energy Northwest
EFSEC Council Meeting
February 18, 2014
(Shannon Khounnala)**

I. Columbia Generating Station Operational Status

Columbia is currently operating at 100% power, generating 1127 megawatts, and has been online for 233 days.

There are no other events, safety incidents, or regulatory issues to report.

II. WNP 1/4 Water Rights

The water rights application for the WNP 1/4 site is proceeding as planned. The Department of Energy and Energy Northwest held a brief conference call with the Department of Ecology earlier this month. A public notice regarding the water rights application will be posted within the next few weeks. Energy Northwest will be working with both agencies this spring to arrange for a site visit as part of the application and approval process.



STATE OF WASHINGTON

ENERGY FACILITY SITE EVALUATION COUNCIL

PO Box 43172 • Olympia, Washington 98504-3172

TO: Energy Facility Site Evaluation Council

FROM: Jim LaSpina, EFSEC Staff

DATE: February 18, 2014

SUBJECT: Grays Harbor Energy Center – NPDES Permit Violation and Recommendation
for Issuance of Notice of Incident

EFSEC is the federally-delegated NPDES permitting authority for the Grays Harbor Energy Center. The NPDES Permit authorizes Grays Harbor Energy Center (Permittee) to discharge process wastewater to the Chehalis River and stormwater discharges to ground and to the Chehalis River.

On December 25, 2014, the Permittee discharged process wastewater to the Chehalis River in violation of an effluent limitation contained in the NPDES permit. Attached to this memo is the draft Notice of Incident (NOI) that describes the permit requirement, the circumstances of the violation, and staff's recommendation to the Council to approve issuance of the NOI.

**STATE OF WASHINGTON
ENERGY FACILITY SITE EVALUATION COUNCIL**

**NOTICE OF INCIDENT AND
REQUEST FOR ASSURANCE OF COMPLIANCE**

Issued To: Grays Harbor Energy, LLC
PO Box 26
Satsop, Washington 98583

Date: February 18, 2014

For Project: **Grays Harbor Energy Center**

Background

On May 13, 2008, the Energy Facility Site Evaluation Council (EFSEC or Council) issued National Pollutant Discharge Elimination System (NPDES) Waste Discharge Permit No. WA-002496-1 to Grays Harbor Energy's (GHE's) Satsop Combustion Turbine Project. NPDES Permit coverage is required by Article IV.B of the Site Certification Agreement (SCA). The permit is incorporated into the SCA by reference as Attachment II. The Project was renamed the Grays Harbor Energy Center (GHEC) as a result of an SCA amendment executed by the governor in 2011.

On November 12, 2012 EFSEC received the application for permit renewal and administratively extended the permit to allow for completion of a wastewater engineering report. EFSEC Staff anticipates approval of the final engineering report by June 30, 2014 and reissuance of the permit soon after.

Permit Condition S1.A of the permit requires that all GHE's wastewater discharges and activities be consistent with the terms and conditions of the permit.

Effluent Limitations

Condition S1.B requires GHE to comply with the interim effluent limits applicable to the process wastewater discharges at Outfall 001. The interim effluent limits are contained in Tables 1 and 2 of the permit.

Table 1: Interim Effluent Limitations – Circulating Cooling Water Blowdown Discharge

Parameter	Daily Maximum ¹	Monthly Average ²
Temperature	16°C	Not applicable
Ammonia (as N)	321 mg/L	160 mg/L
Free Available Chlorine ³	0.5 mg/L	0.2 mg/L
Chloride	18 mg/L	9 mg/L
pH ⁴	Between 6.5 and 8.5 ⁵	Not applicable
Total Suspended Solids	100.0 mg/L	30.0 mg/L
Chromium, total	200 µg/L	200 µg/L
Priority Pollutants and PCBs	See Footnote 6	

- 1 The maximum daily effluent limitation is defined as the highest allowable daily discharge. The daily discharge means the discharge of a pollutant measured during a calendar day. The daily discharge is the average measurement of the pollutant over the day.
- 2 The average monthly effluent limitation is defined as the highest allowable average of daily discharges over a calendar month, calculated as the sum of all daily discharges measured during a calendar month divided by the number of daily discharges measured during that month. If only one sample is taken during the calendar month, the maximum daily effluent limitation applies to that sample.
- 3 Free available chlorine may not be discharged for more than two hours in any one day unless the utility can demonstrate to EFSEC that the units cannot operate at or below this level of chlorination.
- 4 Permittee must include alarm systems for pH control to provide indication of any variance from established limits. If the continuous pH instrumentation malfunctions, grab samples taken every 4 hours must be substituted.
- 5 The total time during which pH values are outside this range must not exceed 7 hours and 26 minutes in any calendar month, and no individual excursion must exceed 60 minutes. An excursion is an unintentional and temporary incident of pH exceedance. No excursions greater than 9.0 or lower than 6.0 are allowed.
- 6 There must be no discharge of polychlorinated biphenyl compounds (PCBs). There must be no detectable amount of priority pollutants (listed in 40 CFR Part 423, Appendix A) and PCBs in the effluent from chemicals added for cooling system maintenance.

Table 2: Effluent Limitations – Oil/Water Separator

Parameter	Daily Maximum ¹	Monthly Average ²
Flow ³		
Oil and grease	20.0 mg/L	15.0 mg/L
Iron, total	1.0 mg/L	1.0 mg/L

- 1 The maximum daily effluent limitation is defined as the highest allowable daily discharge. The daily discharge means the discharge of a pollutant measured during a calendar day. The daily discharge is the average measurement of the pollutant over the day.
- 2 The average monthly effluent limitation is defined as the highest allowable average of daily discharges over a calendar month, calculated as the sum of all daily discharges measured during a calendar month divided by the number of daily discharges measured during that month. If only one sample is taken during the calendar month, the maximum daily effluent limitation applies to that sample.
- 3 Permittee must mix effluent from this source with cooling tower blowdown when the cooling tower is operational. When the cooling tower is not operational, the discharge must be retained or a minimum dilution flow of 200 gpm from recirculated cooling waste inventory water.

Final effluent limits will be proposed in the engineering report and incorporated into the reissued permit by EFSEC as soon as possible, in accordance with Condition S1.D.

Exceedance of Effluent Limitations

On January 9, 2014, EFSEC received GHE's December 2013 Discharge Monitoring Report (DMR). The DMR reported an exceedance of the minimum pH effluent limit of 6.0 that occurred on December 25, 2013. In a followup letter received by EFSEC on January 7, 2014, GHE reported the pH of the discharge to the Chehalis River was below 6.0 for 20 minutes. GHE reported the lowest recorded pH as 3.26. Table 1, footnote 5 prohibits discharge of any duration with a pH below 6.0.

GHE submitted incident-related notifications and reports in a timely manner.

EFSEC staff conducted a compliance inspection of GHE on November 7, 2013. No violations were noted during this inspection.

Notice of Incident

This Notice of Incident is being issued to GHE under the authority of Title 463-70-070 of the Washington Administrative Code (WAC), which reads in part: "Whenever the Council has GHEC – NPDES Notice of Incident, February 18, 2014

probable cause to believe that any term or condition of a certificate agreement or permit has been violated, the Council may serve a notice of incident and request for assurance of compliance upon the certificate holder.”

Request for Assurance of Compliance

Within thirty days of the date of this notice GHE shall provide the Council an Assurance of Compliance including appropriate measures to preclude a recurrence of the violated conditions described in this notice. At a minimum, the Assurance of Compliance must explain the reasons for the exceedance of effluent limitations, and the corrective actions taken to prevent such occurrences in the future.

The Council shall review the Assurance of Compliance and may close out the matter, issue a Notice of Violation or take further action as necessary as authorized under WAC 463-70-070.

DATED this 18th day of February 2014, at Olympia, Washington.

Stephen Posner
Interim EFSEC Manager