

Verbatim Transcript of Monthly Council Meeting
Washington State Energy Facility Site Evaluation Council
October 17, 2017



206.287.9066 | 800.846.6989
1325 Fourth Avenue, Suite 1840, Seattle, Washington 98101
www.buellrealtime.com
email: info@buellrealtime.com



WASHINGTON STATE
ENERGY FACILITY SITE EVALUATION COUNCIL
Richard Hemstad Building
1300 South Evergreen Park Drive Southwest
Conference Room 206
Olympia, Washington
October 17, 2017

MONTHLY COUNCIL MEETING
Verbatim Transcript of Proceeding

REPORTED BY: TAYLER GARLINGHOUSE, CCR 3358

Buell Realtime Reporting, LLC
1325 Fourth Avenue
Suite 1840
Seattle, Washington 98101
(206) 287-9066 | Seattle
(360) 534-9066 | Olympia
(800) 846-6989 | National

www.buellrealtime.com

Page 2

1 A P P E A R A N C E S

2 Councilmembers Present:

- 3 Roselyn Marcus, Chair
- 4 Jaime Rossman, Department of Commerce
- 5 Cullen Stephenson, Department of Ecology
- 6 Joe Stohr, Department of Fish and Wildlife
- 7 Dennis Moss, Utilities and Transportation
- 8 Commission
- 9 Dan Siemann, Department of Natural Resources (via
- 10 bridge line)

11 Local Government and Optional State Agencies:

- 12 Ken Stone, Department of Transportation
- 13 Greg Shafer, City of Vancouver (via bridge line)
- 14 Larry Paulson, Port of Vancouver

15 Assistant Attorney General:

- 16 Ann Essko, Senior Counsel

17 Staff in Attendance:

- 18 Stephen Posner
- 19 Jim LaSpine
- 20 Tammy Mastro
- 21 Sonia Bumpus
- 22 Joan Aitken
- 23 Ami Kidder
- 24 Christina Potis

25 Guests in Attendance:

- 26 Jennifer Diaz, Wild Horse (via bridge line)
- 27 Debbie Knaub, Energy Northwest (via bridge line)
- 28 Mark Miller, Chehalis Generation Facility
- 29 Chris Sherin, Grays Harbor
- 30 Sheldon Zakreski, The Climate Trust
- 31 Sean Penrith, The Climate Trust
- 32 Milos Stefanovic, Invenergy

33 * * * * *

1 OLYMPIA, WASHINGTON; OCTOBER 17, 2017

2 1:30 P.M.

3

4 CHAIRMAN MARCUS: Well, good afternoon.

5 Today is Tuesday, October 17th, 2017, and it is 1:30,

6 and I am going to begin the October meeting of the

7 Energy Facility Site Evaluation Council. For those of

8 you who do not know me, I am Roselyn Marcus, and I have

9 been appointed as the interim chair.

10 Clerk, could you call the roll?

11 MS. MASTRO: Department of Commerce.

12 MR. ROSSMAN: Jaime Rossman is here.

13 MS. MASTRO: Department of Ecology.

14 MR. STEPHENSON: Cullen Stephenson, here.

15 MS. MASTRO: Department of Fish and

16 Wildlife.

17 MR. STOHR: Joe Stohr is here.

18 MS. MASTRO: Department of Natural

19 Resources.

20 MR. SIEMANN: Dan Siemann is on the phone.

21 MS. MASTRO: Utilities and Transportation

22 Commission.

23 MR. MOSS: Dennis Moss is here.

24 MS. MASTRO: Local Governments and Optional

25 State Agencies for the Tesoro Project Department of

Page 4

1 Transportation.

2 MR. STONE: Ken Stone is here.

3 MS. MASTRO: City of Vancouver.

4 Clark County.

5 MR. SHAFER: Greg Shafer is on the phone.

6 MS. MASTRO: Larry Paulson. I'm sorry, Port
7 of Vancouver.

8 MR. PAULSON: I'm here.

9 MS. MASTRO: Chair, there is the quorum for
10 the regular Council and for the Tesoro Project.

11 CHAIRMAN MARCUS: Thank you.

12 I gather everybody's had time to look at the
13 proposed agenda. Are there any suggested changes?
14 Seeing none, I think there are other people on the
15 phone. If there are other folks on the phone that would
16 like to identify themselves, please go ahead, starting
17 with anybody who is going to be giving an update today
18 on one of the facilities.

19 MS. DIAZ: Jennifer Diaz, Puget Sound
20 Energy.

21 MS. KNAUB: Debbie Knaub, Energy Northwest.

22 CHAIRMAN MARCUS: Okay. Anybody else?

23 Okay. We will move on to the minutes. Has
24 everybody had a chance to review the minutes? Are there
25 any changes, comments, questions? No. I would

1 entertain a motion to approve the minutes of the August
2 15th, 2017 Council meeting.

3 MR. STEPHENSON: I will so move.

4 CHAIRMAN MARCUS: Is there a second?

5 MR. MOSS: I will second that motion.

6 CHAIRMAN MARCUS: All those in favor?

7 MULTIPLE SPEAKERS: Aye.

8 CHAIRMAN MARCUS: Opposed? None. The
9 meeting minutes of the August 15th, 2017 Council meeting
10 has been approved.

11 And we will go into project updates. The
12 first listed is Eric Melbardis. Sorry if I messed up
13 your name. Operational update on Kittitas Valley Wind
14 Project. Is anybody here to give an update on the
15 Kittitas Valley Wind Project?

16 MR. LASPINA: Apparently he couldn't join
17 us. I didn't hear otherwise, so his report is in
18 these -- August and September reports are on the green
19 pages.

20 CHAIRMAN MARCUS: Okay. Does anybody have
21 any questions that maybe Jim could answer? No
22 questions.

23 Okay. Jennifer Diaz, I believe you said you
24 were on the phone. Do you have an update on the Wild
25 Horse Wind Power Project?

Page 6

1 MS. DIAZ: Yes. Thank you, Chair Marcus and
2 councilmembers. For the record, my name is Jennifer
3 Diaz. I'm with Puget Sound Energy at the Wild Horse
4 Wind Facility, and for the month of August and September
5 there was nothing non-routine to report.

6 CHAIRMAN MARCUS: Does anybody have any
7 questions?

8 Thank you very much.

9 Then the next project is the Columbia
10 Generating Station. Debbie Knaub, I believe you're on
11 the phone?

12 MS. KNAUB: Yes, this is Debbie Knaub with
13 Energy Northwest, and the only thing to update is that
14 Columbia's radiological waste shipping privilege for the
15 Columbia Generating Station were restored on
16 October 3rd, 2017, after they were suspended temporarily
17 on July 20th, 2017. And I have no other advance to
18 report or new issues to report. Any questions on
19 Columbia Generating Station?

20 CHAIRMAN MARCUS: Does anybody have any
21 questions? Seeing none, I think you can go on to your
22 nonoperational update on WNP-1/4.

23 MS. KNAUB: Okay. I have one update on
24 WNP-1/4 and that is that Energy Northwest is continuing
25 our planning work and fieldwork on the water system.

1 And I have no other issues to update.

2 CHAIRMAN MARCUS: Does anybody have any
3 questions? None, okay.

4 Thank you very much.

5 We will move on to the Chehalis Generation
6 Facility, Mark Miller.

7 MR. MILLER: Good afternoon, Chair Marcus
8 and councilmembers. My name is Mark Miller. I am plant
9 manager at the Chehalis Generation Facility for
10 PacifiCorp. I do not have any non-routine comments to
11 offer for the months of August and September. Are there
12 any questions?

13 CHAIRMAN MARCUS: I guess not. Thank you.
14 That was pretty easy.

15 Now I am going to have Staff member, Sonia
16 Bumpus is going to give an update on the Vancouver
17 Energy Distribution Terminal Project.

18 MS. BUMPUS: Thank you. Good afternoon,
19 Chair Marcus and councilmembers. I will start with my
20 SEPA update. At the last Council meeting in August, I
21 noted that EFSEC had just received response materials
22 from the applicants on August 14th. The materials
23 provided to EFSEC were for the air quality DPM-D2 tier 2
24 assessment, and our consultant was able to use that
25 information to complete an independent assessment for

Page 8

1 the final EIS. This includes -- well, hold on. Let me
2 stop there.

3 Our consultant completed the analysis
4 recently. We are looking at the results now, and we are
5 also reviewing the sections of the FEIS that had to be
6 revised to reflect the new information. This is our
7 last phase of review for the FEIS, so once this is
8 wrapped up, I'll be having consultants finalize the
9 document to distribute to councilmembers for review. If
10 there aren't any questions on the SEPA update, I'll move
11 on to permits.

12 CHAIRMAN MARCUS: Are there any questions on
13 the SEPA update?

14 Nope, you can move on.

15 MS. BUMPUS: I'll start with the notice of
16 construction. Some of this you've heard in previous
17 updates. We received approximately 2,976 extracted
18 comments that required screening for the NOC. We've
19 narrowed these down to substantive comments, and we are
20 working with our contractor to finalize responses and to
21 finalize the permit documents for Council review. So
22 I'll keep you updated on the progress there.

23 For the NPDES Construction Permit, we are a
24 little bit farther along. We received 184 comments and
25 we have been working to finalize the responses to those

1 comments, and this is basically to make sure that the
2 comments are synchronized across permits that have to do
3 with the same issues. So we're -- we have less work to
4 do on this permit, but we still need to vet some of the
5 responses.

6 The NPDES Industrial Stormwater Permit, the
7 public comment was noticed and began on Wednesday, July
8 19th and ended on August 22nd. On August 22nd, EFSEC
9 also held a public comment meeting in Vancouver at the
10 Clark College Columbia Technical Center. At that
11 meeting, we received 92 comments from speakers, and we
12 also received 109 mailed in letters or submitted letters
13 at the meeting during the public comment period. It was
14 a 35-day public comment period, and we had a total of
15 344 submissions during that time.

16 EFSEC and its consultants have screened
17 these comments, and we've narrowed these down to some
18 discrete issues that need to be addressed in the
19 responses, and we're working with our Ecology contractor
20 to finalize the responses to those and update the permit
21 documents. And, again, I'll keep you updated on our
22 progress there.

23 CHAIRMAN MARCUS: Does anybody have any
24 questions for Sonia? Mr. Stohr.

25 MR. STOHR: Thank you, Madam Chair. I'm

Page 10

1 just thinking about planning ahead here a little bit,
2 and so it sounds like we'll be looking at the final EIS
3 and then these three or four permits in the next couple
4 of weeks basically?

5 MS. BUMPUS: You'll be looking at the FEIS
6 in the next couple of weeks I would say, and then the
7 permits will follow. I'm not exactly sure when that
8 will be, but they will be following the -- pretty
9 immediately, I think, the review of the FEIS.

10 MR. STOHR: I don't mean to put you on the
11 spot, I'm just thinking about calendars.

12 MS. BUMPUS: Sure. That's okay.

13 CHAIRMAN MARCUS: Anybody else?

14 Okay. Thank you.

15 Okay. Next is the update from Grays Harbor
16 Energy Center. Chris Sherin, did I get that right?

17 MR. SHERIN: Yes.

18 CHAIRMAN MARCUS: Great. Welcome.

19 MR. SHERIN: Good afternoon, councilmembers.
20 Chris Sherin, plant manager for Grays Harbor Energy
21 Center. Just a couple items not normal to note. For
22 August and September 2.2, August, September, we
23 conducted our relative accuracy tests assessments in
24 August, and we got our final relative accuracy tests
25 assessments and SO2 stat test reports back and that was

1 all successful. That's real good.

2 Also, under 2.4, the arsenic and mercury
3 levels in the September testing results received for --
4 for the outfall have been -- have been below the minimum
5 level documented in the Table 3-6 of AECOM's 2015
6 Engineering Report. The average arsenic results of
7 three micrograms per liter have shown little variation
8 over the 12 samples we've taken so far.

9 And then under 2.2, we've had all our paved
10 surfaces, parking lots and roadways swept, clean
11 swept, and we do that every year in September, in the
12 third quarter. And the results back from the lab --
13 test lab were good.

14 CHAIRMAN MARCUS: Great.

15 MR. SHERIN: Are there any questions?

16 CHAIRMAN MARCUS: Anybody have any
17 questions?

18 Looks like no questions.

19 MR. SHERIN: All right. Thank you.

20 CHAIRMAN MARCUS: Thank you for the report.
21 Turning over to Jim LaSpina.

22 MR. LASPINA: Good afternoon, Chair Marcus
23 and councilmembers. Grays Harbor Energy Center is
24 required by its site certification agreement to fund
25 projects mitigating and submissions of greenhouse gases.

Page 12

1 The Grays Harbor Energy Greenhouse Gas Mitigation
2 Program was approved by the Council in June 2003.
3 In 2008, the Council approved The Climate Trust as the
4 program administrator or independent qualified
5 organization to manage the Grays Harbor Energy
6 Greenhouse Gas Mitigation Program.

7 Climate Trust's representative, Sheldon
8 Zakreski and Sean Penrith are here today to describe the
9 Greenhouse Gas Mitigation Plan, how the Greenhouse Gas
10 Mitigation underpayment occurred, the proposed
11 resolution, the measures The Climate Trust has
12 implemented to prevent such errors in the future.
13 Following The Climate Trust presentation, Milos
14 Stefanovic of Invenergy will address the Council.

15 CHAIRMAN MARCUS: Thank you.

16 And if you could just start with identifying
17 yourself for the record

18 MR. ZAKRESKI: Yeah, thank you. Good
19 afternoon, Chair Marcus and councilmembers. I'm Sheldon
20 Zakreski with The Climate Trust. Behind me is our
21 executive director -- our executive director, Sean
22 Penrith. No? All right.

23 MS. AITKEN: Try again.

24 MR. ZAKRESKI: All right. Third time's a
25 charm. There we go. All right. Thank you.

1 So yeah, as Jim mentioned, The Climate Trust
2 was selected to manage Grays Harbor Energy's Greenhouse
3 Gas Mitigation Plan, and we've been doing this since
4 2008. This is the first time actually we're appearing
5 before the Council, so for just -- you know, for our
6 presentation today, I would describe a little bit about
7 who The Climate Trust is, how this plan works, what we
8 do with these funds, and then talk a little bit about
9 the miscalculation of past payments that we saw and sort
10 of how we're going to mitigate that happening in the
11 future and what our sort of proposed resolution is.

12 So The Climate Trust has been around for
13 about 20 years. We were actually established as a
14 result of a law in the -- through the Oregon Energy
15 Facility Siting Council's standard process. Basically
16 through that law to get a siting certificate in the
17 state of Oregon, you have to mitigate your carbon. And
18 one of the ways which you can do that is to pay a third
19 party to essentially go out and manage that
20 responsibility for you.

21 And that sort of experience in Oregon I
22 think sort of formed the basis in Washington, and there
23 is a law on the books, RCW 80.70, that deals with it.
24 Important distinction is that although there is that law
25 in the books, it's my knowledge there is no facility,

Page 14

1 you know, sort of subject to that law. The plan that
2 sort of governs our relationship with Grays Harbor
3 predated that. So I will describe that a little bit
4 more, but it works a little bit differently than that
5 law on the books.

6 So to start a little bit about, you know,
7 how this sort of works is that what was negotiated under
8 the Greenhouse Gas Mitigation Plan that was approved, I
9 think, back in 2003, and that sort of works between
10 Grays Harbor and The Climate Trust is there's an annual
11 calculation that takes place, and it's sort of done
12 under the basis of the assumption that, you know, if you
13 look at the hearing design specification, the Facility
14 was going to emit about approximately just over a half
15 million short tons of carbon dioxide a year. And then
16 you have a base rate and an inflator subject to it, and
17 there's an initial -- the initial rate that sort of was
18 established was 57 cents per ton, and then that per unit
19 rate would fluctuate depending on the inflation for the
20 previous year.

21 And so we've been kind of taking that
22 approach to determine what is the annual greenhouse gas
23 mitigation payment. And in addition to that payment,
24 there's a seven and a half percent what the plan refers
25 to, the mid charge, but I'll explain a little later on

1 how we actually use that differently than
2 administration. And since this plan has kind of been in
3 effect, we've gotten just over \$3.2 million from
4 Invenergy to kind of go to our efforts and go towards
5 greenhouse gas reduction projects.

6 So just a very high level overview on how
7 this works is, you know, each year kind of mid April we
8 are able to get the data that sort of allows us to kind
9 of figure out the impact of inflation and, you know,
10 what the annual mitigation payment is. And so Invenergy
11 submits that payment to us, that's what they're sort of
12 required to do to comply with their site certificate.
13 You know, our role is, as an independent qualified
14 organization, is to sort of take those funds and put
15 them into projects that we think will sort of provide
16 environmental performance.

17 And that good looking guy on the right of
18 your screen there, his name is Kevin Maas. He runs a
19 company called Farm Power Northwest. And these are some
20 examples of sort of the first project that we invested
21 in using Grays Harbor funds. He runs a biogas company
22 whereby he's collecting dairy manure and converting it
23 into biogas degenerated electricity, and it's that
24 process of combusting the dairy manure that generates
25 carbon credit. So when he generates those carbon

Page 16

1 credits about once a year, they get delivered to us.
2 And in exchange for receiving those, we pay him a
3 third-time price, and we retire those offsets on behalf
4 of the Facility.

5 Just for a little bit more, you know, in
6 depth to sort of show you what we kind of need to do as
7 an, you know, IQO to find these projects and make sure
8 that there's performance is, you know, there's sort of
9 the left side of this slide and the right side. And the
10 left side sort of involves all the activities that we
11 need to do in order to find a project. We need to
12 determine, you know, whether or not it's eligible to
13 generate kind of emission reduction and offset, and we
14 need to do an evaluation just to make sure the project's
15 going to perform as it is and that we think the project
16 proponent is qualified. And, you know, assuming we like
17 everything and we're agreeable to terms, then, you know,
18 we enter into a contract, we do negotiations. And so
19 that whole process takes about six to nine months, and
20 we operate on a voluntary market. So that doesn't
21 necessarily guarantee success.

22 But that's how we -- those activities on the
23 left is what we take that seven and a half percent
24 administrative fee for. We really refer to it as our
25 transaction cost budget, and it's all about, you know,

1 getting to that point to where we can execute a purchase
2 agreement with somebody to supply these offsets to us.
3 And those are relatively fixed costs. We typically, to
4 go from sort of the introductory point to signing of a
5 contract, that's about a 15-, \$20,000 investment, you
6 know, assuming we're successful. And so that's -- and
7 because of that, we tend to try to find larger projects
8 to -- you know, in order to make that seven and a half
9 percent stretch as far as we can.

10 So on the right side is where we sort of use
11 some of the, you know, mitigation payment for our
12 management. You know, some of the activities we do out
13 of the mitigation pieces manages working with those
14 project proponents so they can understand how to monitor
15 and get those reductions verified by a credible third
16 party. Once that happens, those offsets are sort of
17 issued and transferred to us and then they become a
18 tradable goods that we can hold or retire.

19 Some of the other pieces in there that, you
20 know, you don't necessarily see is that, you know, in
21 order to have -- we basically have a contractual
22 relationship with these offset suppliers for several
23 years, so we need to have a budget in order to, you
24 know, manage that agreement. Sometimes it needs to be
25 amended; sometimes there are legal issues that pop up.

Page 18

1 So this briefly is just a -- sort of our
2 portfolio of reductions that we secured on behalf of
3 Grays Harbor to date. You can kind of see that we've
4 secured about 284,000 offsets that have been contracted,
5 we've retired most of those, and approximately about 55
6 percent of those retired, just 148,205 offsets are from
7 projects in Washington State that are eligible for the
8 Facility to use towards their Clean Air Rule compliance
9 target.

10 And just as a quick aside, as I kind of
11 mentioned, you know, how we sort of use some of the
12 mitigation funds for management, just an example out of
13 that is we entered into one agreement with ECC
14 Composting, and that stands for Environmental Credit
15 Corp., and that involved a project in Delaware, and then
16 they ran into some issues with their permitting and they
17 weren't able to continue to deliver us offsets. And so
18 we actually had to work with our attorneys, work with
19 their attorneys to figure out in the event of the fall
20 and actually figure out a way to find replacement
21 offsets from them.

22 So the line below it where you see
23 "Composting Replacement Offsets," that 40,000 in
24 Washington State, that was a result of us having a bit
25 of a program management budget to, you know, make sure

1 we could administer these agreements and provide
2 replacement offsets for the Facility.

3 So just going to talk a little bit about,
4 you know, what happened, you know, in connection to the
5 calculations. So, you know, we sort of based our
6 calculation tool, I mean, off of the plan that just
7 basically sort of told us you can assume about half a
8 million tons of emissions a year, a unit rate of 57
9 cents per ton adjusted for inflation. And so basically
10 what happened was we would buy that 57 cents, look back
11 at what the inflator was in the past year and calculate
12 the payment. And then the next year would come along
13 and we would reset that -- we wound up resetting that
14 rate back to 57 cents per ton.

15 And we kept doing that each successful year,
16 where what should have happened was the inflation should
17 have compounded. So if it was 57 cents initially, it
18 went up to 59 cents, and then it should have gone up to
19 62 cents. And so we kind of missed that compounding
20 inflation component. And so -- and then that resulted
21 in sort of a -- just a mistake in the calculations for
22 the years 2010 to 2016, and that resulted in an -- just
23 an underpayment by not capturing that compounding
24 inflation of about \$181,029.

25 Basically it was a just, you know, internal

Page 20

1 error that wasn't sort of caught. That, you know,
2 payment spreadsheet was sort of set up, it just wasn't
3 set up, you know, properly to kind of, you know, catch
4 the initial and the carryover and the inflation. And it
5 was sort of discovered earlier this year, and sort of
6 the impetus for discovering it was when the Department
7 of Ecology had passed the Clean Air Rule, you know, we
8 started, you know, kind of looking in a little bit more
9 to the Clean Air Rule and trying to understand how the
10 Greenhouse Gas Mitigation Plan was going to intersect
11 with that.

12 And so it just sort of through just a kind
13 of a deeper review of the plan itself that we had
14 discovered this error. We informed Invenergy -- sorry,
15 of this error -- just before I move this slide -- in
16 March of 2017, and so I just wanted to kind of make
17 clear that, you know, the 2017 payment did factor in the
18 full compounding inflation. So the payment that we
19 received earlier this year is sort of not part of that.

20 Just want to talk a little bit about what
21 we're doing internally to make sure this doesn't happen
22 again. So, I mean, we've obviously -- step one, we've
23 kind of fixed the spreadsheet and making sure that we're
24 going to have at least three people kind of touching
25 this calculation. So there will be the person

1 responsible for doing the calculation, that's myself. I
2 will then not only sort of submit the number to our
3 director of finance, but she'll sort of review the
4 spreadsheet, you know, make sure, just double-checking
5 the map, just kind of recreating it, making sure that
6 she comes up with the same number. And so if we both
7 have the same number, then, you know, she will submit
8 both pieces of documentation to our executive director
9 and he will sign off on it before we submit it to
10 Invenergy. So we're just making sure we got those
11 internal controls in place to prevent this from
12 happening again.

13 So I was sort of mentioning previously, you
14 know, we caught this in, you know, late March and sort
15 of informed Invenergy in April of this year. We also
16 sort of submitted to, you know, Invenergy kind of an
17 invoice value for the 2017 payment, you know, kind of
18 factoring in the compounding inflation, and that wasn't,
19 you know, really the issue there. So then we kind of
20 went into discussions with Invenergy and we sort of
21 reached out to, you know, EFSEC Staff to make them
22 aware, you know, of the miscalculation and sort of were
23 discussing okay, what would we sort of propose to
24 resolve this back calculation issue.

25 So what the parties, you know, Climate Trust

Page 22

1 and Invenergy have sort of come up with here is that
2 Invenergy will for the next four years, starting in
3 2018, make additional payments of about \$45,257. And so
4 doing that over the next four years, that would
5 represent sort of the full greenhouse gas mitigation
6 amount. That doesn't include any back payment for, you
7 know, administrative fees or the transaction cost fees
8 that The Climate Trust since this was an error that
9 originated with us. We're not asking for any additional
10 funds.

11 Also, as I've mentioned, you know, typically
12 we would take the mitigation payment and, you know, some
13 of it goes directly into projects, other it goes sort of
14 to support the management activities. And in this case,
15 we're going to treat -- the 100 percent of those funds
16 is going towards offsets. So anything that we've kind
17 of got from management fees, you know, we're going to
18 stretch that to make that work.

19 You know, we're also going to make the best
20 efforts to find Washington State offsets. You can sort
21 of see to date we've gotten about over -- just over half
22 of our offsets from Washington, and we're going to
23 continue to emphasize, you know, that and make
24 personally reasonable efforts if we can find quality
25 offsets that are competitively priced and that, you

1 know, preferably are eligible under the Clean Air Rule
2 compliance. Those are the offsets we are going to
3 target and make our best efforts to secure on behalf of
4 the Facility.

5 And on a couple of final points, we've sort
6 of drafted a memorandum of understanding with Invenergy
7 and, you know, we sort of think that's an important
8 document. It's not only going to cover the payment
9 issue, but it's really just going to cover just the
10 general business relationship in the operating and, you
11 know, because I think what we sort of learned is people
12 tend to move on, but if you've got this sort of, you
13 know, MOU document in place to kind of govern the
14 relationship, there's just sort of a centralized place
15 that parties on -- you know, both parties can kind of
16 refer to going forward.

17 And then finally, you know, just in terms of
18 our outreach with EFSEC, you know, we're going to make
19 sure that we're increasingly collaborating with them,
20 providing annual reports to them so that they can kind
21 of be made aware of how we're managing these funds.

22 So that's it for my presentation. I'm happy
23 to answer any questions people may have.

24 CHAIRMAN MARCUS: Anybody have any
25 questions? Mr. Rossman?

Page 24

1 MR. SIEMANN: Chair Marcus, this is Dan
2 Siemann from DNR, and I just have a couple of questions.

3 CHAIRMAN MARCUS: Okay. Mr. Siemann, you
4 can go ahead.

5 MR. SIEMANN: Okay. My first question is --
6 and I appreciate the presentation and your efforts to
7 rectify the problem. If I understood correctly, the
8 focus is largely on the financing piece of it. But it
9 seems to me that the purpose behind this effort is
10 really a reduction in CO2, and I'm wondering if you have
11 calculated the -- the lost opportunity, I suppose, the
12 opportunity cost that was lost due to this financing
13 challenge or mistake in terms of the additional CO2
14 that's been admitted into the atmosphere as a way of
15 thinking about what perhaps additional reductions need
16 to be made to make up for that additional CO2, given the
17 kind of compounding that would have occurred had those
18 reductions been made earlier, therefore less [inaudible]
19 over time.

20 MR. ZAKRESKI: That's a good question. I
21 mean, in our experience, I mean, the way I guess it sort
22 of works, you know, for us, you know, the way we sort of
23 view the program is it's one of kind of more like a -- I
24 mean, structured like a carbon tax, you know, where it's
25 based on, you know, sort of a, you know, payment and,

1 you know, we're kind of making, you know, efforts to,
2 you know, get the projects that we can get. So it's
3 really challenging to sort of slice it in okay, how do
4 we go about in a way to maximize emission reductions.

5 You know, we can -- one of the ways we could
6 do that is we could go out and, you know, buy a lot of
7 offsets that may come out of China for 50 cents a ton,
8 and that may have the greatest climate benefit, but
9 that's not -- that's only part of what we try to do.
10 You know, we try to make sure that we're, you know,
11 investing in, you know, local projects, folks that we
12 can replicate with, you know, that are also providing
13 local benefits.

14 And so, you know, for us -- and I guess we
15 talked about how we're going to use the money, you know,
16 going forward, I would say the emission reduction impact
17 is part of it. The other part of it is how are we going
18 to support projects in Washington State and what sort
19 of, you know, real economic benefits might those efforts
20 have.

21 MR. SIEMANN: I see. So the issue really
22 does focus much more so on the financial piece as in
23 carbon tax rather than on the emissions reduction goal;
24 is that correct?

25 MR. ZAKRESKI: Yeah, I mean, that's kind of

Page 26

1 how I would characterize it, just in the way the, you
2 know -- I mean, our interpretation of the -- the way the
3 plan was established is that, you know, a requirement
4 for the Facility to kind of, you know, maintain its site
5 certificate in good standing is making a payment, and
6 that payment is based on, you know, the half a million
7 ton figure that this sort of came out, I think, in the
8 design stage plus the 57 cents times inflation. And,
9 you know, on our -- on The Climate Trust's side, we
10 don't have a mandate in terms of a, you know, strict --
11 strict ton introduction. You know, our job is to go out
12 and place that money in the projects, but there isn't a
13 mandate to sort of say you need to reduce a hundred tons
14 or a hundred thousand tons.

15 MR. SIEMANN: Got it. Okay. And if I may,
16 one initial question, I noticed that RCW 80.70 uses the
17 unit in metric tons. And it seems from looking at the
18 materials that accompany this topic as a focus, this
19 unit is a short ton. Has that been made consistent
20 because those are two different things in terms of
21 actual amounts?

22 MR. LASPINA: Maybe I can answer that.

23 CHAIRMAN MARCUS: Mr. LaSpina.

24 MR. LASPINA: Mr. Siemann, this Grays Harbor
25 Energy Greenhouse Gas Plan predates the 80.70 law by

1 several years. So there are some inconsistencies
2 between the Grays Harbor Energy Plan and -- and the
3 80.70 law. So EFSEC intends in the future to come to
4 develop a more fleshed out program that may reconcile
5 these inconsistencies, and at that time when we do this
6 program development, we will solicit input from
7 everybody. But at this time, we're -- we are required
8 to follow the plan that was approved by the Council in
9 2003. I hope that answers your question.

10 MR. SIEMANN: Yeah, and I guess that means
11 that the plan that was approved in 2003 used short tons
12 as a measurement and therefore that would be the
13 appropriate unit to be using in this case, correct?

14 MR. LASPINA: I didn't catch it --

15 CHAIRMAN MARCUS: He asked if that was
16 correct, that the plan used the short metric as the
17 short ton --

18 MR. LASPINA: I would have to look it up.

19 MR. SIEMANN: I just want to be sure we're
20 using the correct unit, given that there's oftentimes
21 confusion between the term "ton" because it has at least
22 three different measurements; metric, short ton, and
23 long ton. Those are all my questions.

24 CHAIRMAN MARCUS: Okay. Thank you.

25 Mr. Rossman.

Page 28

1 MR. ROSSMAN: Yeah, thank you. Thank you
2 for the presentation, Mr. Zakreski? Is that how --

3 MR. ZAKRESKI: Yep, got it right.

4 MR. ROSSMAN: So I'm not sure that you
5 covered this piece in detail today, but I think from
6 earlier materials, so there's the mitigation amount
7 that's calculated as the 57 cents adjusted for inflation
8 and then there's a seven and a half percent
9 administrative fee on top of that. But looking at some
10 of the previous materials we've seen, it looks like that
11 mitigation amount gets split 80/20 between something
12 that's described as project funding and something
13 described as project management; is that right?

14 MR. ZAKRESKI: Yeah, that's correct.

15 MR. ROSSMAN: And I think there was a slide
16 in today's presentation where you talked about your
17 overall management activities, and I think the seven and
18 a half percent on the left-hand side of that slide you
19 said?

20 MR. ZAKRESKI: Yes.

21 MR. ROSSMAN: And the 20 percent is on the
22 right-hand side of that slide?

23 MR. ZAKRESKI: That's correct.

24 MR. ROSSMAN: And I know that this agreement
25 was reached before the statute and WAC were in place,

1 but there's a cap in the statute and WAC of 20 percent.
2 So for a project that was permitted under that, would
3 that 20 percent include things that you're doing in both
4 the seven and a half percent and the 20 percent right
5 now in this project or would you also have an additional
6 administration fee on top of the 20 percent for
7 projects?

8 MR. ZAKRESKI: Yeah, that's a good question.
9 So I mean, you know, you are correct. I guess, you
10 could -- you know, one of the ways you could interpret
11 it is if you look at, yeah, 80.70, they're sort of
12 saying you got 20 percent to use for -- that slide where
13 I sort of said -- I will just slide back to it. You
14 know, all your activities, right, whether it's the left
15 side stuff or the right side stuff.

16 You know, one of the key differences between
17 the WAC and the plan is that a WAC provides all the
18 funding up front over a 30-year basis, whereas we're
19 getting, you know, in theory one -- you know, up to 30
20 payments. And so that creates some, you know,
21 implications, you know, just in terms of our ability to
22 sort of, you know, find scaleable projects in that. And
23 so I guess because we're getting, you know, sort of an
24 annual payment, you know, that's what -- why we're sort
25 of using that seven and a half percent, you know, to

Page 30

1 find the projects. And because like a lot of times, you
2 know, we're getting these smaller payments and that
3 affects -- you know, some of the projects, we can't go
4 after them because we may only get, you know, \$300,000 a
5 year and that's all we've got. But we've got somebody
6 with a million dollars' worth of offsets. So, you know,
7 it kind of creates a little bit of extra costs on our
8 end because of getting an annual payment structure that,
9 you know, isn't done that way in the WAC.

10 MR. ROSSMAN: Got it. And so the details of
11 that 80/20 split of how the mitigation payments
12 themselves are going to be made, are those based on your
13 agreement with the Facility?

14 MR. ZAKRESKI: Yeah, I mean, we've
15 definitely had communications, you know, with the -- you
16 know, dating back several years with Invenergy about,
17 you know, this is how, you know, the -- sort of the law
18 works in Oregon and how we kind of managed the
19 mitigation payment to where, you know -- where 80
20 percent went towards the project, you know, up to 20
21 percent, like I said, you know, sort of management
22 efforts, and then that is something that's sort of
23 called out in our MOU.

24 MR. ROSSMAN: And then it looked like your
25 last slide, part of proposed resolution, both parties

1 are negotiating an MOU. When you say "parties" there,
2 do you mean The Climate Trust and the Facility or is
3 EFSEC Staff going to be part of negotiating that?

4 MR. ZAKRESKI: No, that's between The
5 Climate Trust and the Facility.

6 MR. ROSSMAN: Okay.

7 CHAIRMAN MARCUS: Mr. Stephenson.

8 MR. STEPHENSON: Thank you, Chair Marcus.

9 Good presentation, helpful. Back on the
10 project portfolio, there are project names and tons
11 listed. What I can't tell is what happened to cause
12 those tons to be put on this list? Could you give just
13 a couple of examples of why those tons are being
14 reduced? Isn't that what we're trying to do here?

15 MR. ZAKRESKI: Sure. Well, I mean, why
16 those like sort of tons are on the list is the -- the
17 number on the contracted side, that sort of represents
18 the volume over the contract life. And typically when
19 we enter into a contract, we're entering into a contract
20 to receive offsets over a five to ten-year period. And
21 then the reason why we tend to enter into those
22 multiple-year contracts is because we're getting more
23 bang for our dollar out of that seven and a half
24 percent.

25 The right side, you know, is the retired

Page 32

1 side. So, you know, essentially -- the one I'll kind of
2 call out is like the Lochmead Dairy. You know, that's a
3 project that we have a ten-year contract in that we're
4 about, you know, sort of year, year six in. And a lot
5 of the offsets from that are kind of coming on the back
6 end years for Invenergy. So, you know, when that
7 project is all said and done in about five years' time,
8 you know, we'd love to sort of see that contract and
9 that retired figure up.

10 So, you know, essentially what you're sort
11 of seeing here is, you know, these are projects that
12 we've, you know, selected and on the right side, those
13 are the volumes that have been delivered and have been
14 retired. So that retired represents the actual benefit
15 and the contracted would represent the anticipated
16 benefit once these projects come in focus.

17 MR. STEPHENSON: So quick follow-up. For
18 instance, Cedar Grove Composting, they're still
19 composting, so what have they changed to get a credit
20 here?

21 MR. ZAKRESKI: So are you trying to ask a
22 question, if I'm understanding, what have they changed
23 in order to be eligible to generate an offset?

24 MR. STEPHENSON: Yes.

25 MR. ZAKRESKI: Sure. So the way that that

1 sort of works is that that particular -- Cedar Grove is
2 sort of based on a third party standard called the
3 Climate Action Reserve. And so they kind of looked at
4 the different laws that are out there in terms of
5 mandating composting and mandating waste diversion and
6 mandating the type of waste that they take. And so they
7 sort of concluded that, you know, there's a share of the
8 waste that they take that if Cedar Grove, you know,
9 hadn't been built and wasn't there, it would have gone
10 to a landfill and generated methane.

11 And so it's sort of based on a lot of the
12 waste characterization data and certain types of
13 feedstocks is what we refer to them. There are certain
14 types of food waste that are coming from certain sources
15 that will be given credit. And so based on -- on sort
16 of this Climate Action Reserve protocol and sort of
17 following the procedures in terms of documentation and
18 data, that's how we're sort of, you know, quantifying
19 those credits. And so they are continuing to compost.

20 In the future, they could be generating
21 additional offsets, but we don't really know that until
22 they get verified by a third party and that gets
23 reviewed by the Climate Action Reserve standard.

24 MR. STEPHENSON: Okay. Just maybe one
25 follow-up for Staff. Are you confident with these

Page 34

1 numbers that there's actually going to be reductions at
2 this level?

3 MR. LASPINA: Councilmember Stephenson, the
4 whole -- the whole regem of having an IQO is based on
5 the idea that there's -- there's really no expertise at
6 EFSEC. These guys are the experts. So I mean, we --
7 we -- basically EFSEC certifies the IQO and on the basis
8 that they know what they're doing, and that's about all
9 we know. I mean, we have certified them to act in
10 EFSEC's stead. So I really have no opinion. I mean, I
11 have a total lack of knowledge on that.

12 MR. STEPHENSON: Thank you.

13 MR. ZAKRESKI: You know, I could add for
14 further clarification. I mean, the Cedar Grove
15 Composting is an example of a project type that is
16 specifically called out by Ecology and their Clean Air
17 Rule. So, you know, through their efforts studying what
18 are the different, you know, credible ways to produce
19 emission reductions, and in the context of that
20 regulation, they have specifically called this
21 activity-type out as something that is credible to
22 generate what is called emission reduction unit for
23 compliance with that standard. And part of that, you
24 know, figure that it says -- that 18,000 figure does
25 feed into.

1 So, you know, based on, you know, our review
2 of the Clean Air Rule and our, you know, interactions
3 with Ecology, you know, those composting offsets would
4 be eligible under the Clean Air Rule. So there is that
5 sort of also kind of seal of approval for those types of
6 reductions.

7 CHAIRMAN MARCUS: Thank you.

8 MR. PENRITH: Thank you. I am -- my name --

9 CHAIRMAN MARCUS: Could you come and
10 identify yourself for the record, please.

11 MR. PENRITH: Sean Penrith, executive
12 director for Climate Trust. I did want to point out,
13 Sheldon did a fabulous job of explaining. This is
14 something as we travel around the country, this comes up
15 a lot. So I just wanted to add a little bit of color to
16 your question which is very pertinent.

17 The Climate Trust is not the arbiter of
18 those numbers. Our job is to do the due diligence on
19 the appropriate projects and make sure that as they
20 deploy, the methodology of creating -- think of it as a
21 recipe -- that real permanent reductions will ultimately
22 be achieved.

23 But we use a recipe of protocol that's been
24 generated and designed by a third-party registry company
25 that's recognized in the United States. There are

Page 36

1 independent verifiers that come and verify those numbers
2 and then turn them into the registry, and then those
3 credits are housed on the registry. So I just wanted to
4 make the point that it is not The Climate Trust that are
5 saying these numbers are golden. We simply ensure that
6 those occur, but we rely on third-party standards to
7 verify to ensure that these results are credible so that
8 your faith in us, being the IQO, is well vested. I just
9 wanted to add that. Thank you.

10 CHAIRMAN MARCUS: Thank you.

11 Any other questions? Mr. Rossman.

12 MR. ROSSMAN: Yeah, thank you for the
13 presentation and for working to get the air rectified.
14 I guess I would like to see either some additional
15 analysis on if The Climate Trust has other sort of
16 smaller contracts that come in closer to that level of
17 \$300,000 a year, you know, why the 27 and a half percent
18 overall management cost is reasonable to that or like to
19 see in your new MOU be working to sort of bring it down
20 towards that 20 percent standard. I hear the point
21 about the difficulty in placing incremental amounts in
22 different years, but I wonder if there's no way to
23 bundle purchases across multiple projects to, you know,
24 have smaller things contribute to larger or any kind of
25 managerial projects like that.

1 I guess for lack of perspective, this is
2 very much about the mitigation. It's a mitigation plan,
3 it's framed around, you know, mitigating the impact of
4 the GHG emissions, and I definitely appreciate that it's
5 important to do that. And the way the balance is a lot
6 of values around achieving GHG mitigation, but so that
7 would be my request is to work towards getting that
8 trended towards similar standards to other facilities
9 will be in the future.

10 MR. PENRITH: Yes, we totally hear that. I
11 do want to attempt to give additional context to
12 Sheldon's comment. So when you think about offset
13 mitigation funds, let's just say it's \$10, that \$10, the
14 job of that \$10 is to deliver that offset, but those
15 offsets do not materialize without a bunch of management
16 fees. And when I -- so I used to be the vice chair of
17 the board at The Climate Trust before I joined my team
18 as executive director, and it's taken me a long time, I
19 will confess, to understand how they break out the fees.
20 And when they use this term management fee, the way I
21 articulate and understand is that the offset mitigation
22 funds to generate this offset, there is a certain
23 component to make sure that it is real, it is permanent,
24 it is verified and so on.

25 And so while ideally we would like to put

Page 38

1 \$10 into a slot and an offset appears, it doesn't
2 happen. So we have to put \$8 in the slot, use \$2 to
3 create the offset, and that's the term that they use on
4 the team, which is a management fee. It's accurate,
5 Sheldon is absolutely spot on, but it's the curation
6 fee, if you will, because without it, we will not get a
7 permanent reduction that we can put on a slide and say
8 with confidence that is a real ton of emissions that
9 have been reduced. So I just -- if that's helpful at
10 all, I just wanted to share that. Thank you.

11 MR. ROSSMAN: Oh, no, thank you. I
12 definitely appreciate that, I just want to make sure
13 that \$8 is going in the slot and not 7.50.

14 MR. PENRITH: Sure. Understood.

15 CHAIRMAN MARCUS: I guess I have a question.
16 I'm trying to figure out what you actually do to find
17 the projects or how the projects can come find you,
18 because it sounds like there was some problems with
19 finding projects, and I'm wondering what you actually do
20 to find projects.

21 MR. ZAKRESKI: Sure, so we -- there is a
22 couple of ways we go about it. I mean, typically what
23 we use is we have done RFPs in the past, but we found
24 that's a pretty passive -- passive way. So, you know,
25 in terms of finding the projects, you know, a lot of

1 times it's sort of picking our sectors we've decided to
2 have expertise. And so we kind of tend to focus on
3 biogas, you know, working around projects that involve
4 dairy digesters, forestry, or avoided conversion of
5 grasslands.

6 So it's kind of through developing a
7 presence in that sector, you kind of get to have, you
8 know, word of mouth. We also look for a lot of repeat,
9 you know, in terms of trying to pick a winner. So I
10 brought up Farm Power as an example. That was our first
11 project using Facility dollars, and Farm Power has since
12 gone on to build about several different projects in the
13 Northwest. And so we've been able to get, you know,
14 repeat business out of them.

15 You know, one of the challenges, yeah, with
16 finding projects is you have to hear this term, you
17 know, additionality, kind of talking about making sure
18 that, you know, those reductions are an additional but
19 otherwise happened. And that basically means business
20 is not usual. So, you know, that adds a little bit of
21 extra effort, you know, in terms of finding these
22 projects, because a lot of times they're not necessarily
23 there. They depend on a lot of different factors to
24 come together. And so, you know, that's why sometimes,
25 you know, because of that and because we're in a

Page 40

1 voluntary competitive market, you know, you can find,
2 you know, years where, you know, where you're going to
3 kind of come up empty, you know, sort of the swing of
4 events in terms of finding a project to contract.

5 CHAIRMAN MARCUS: Any other questions? Jim.

6 MR. LASPINA: I wanted to add one other
7 thing for context, one other event. This is a time of
8 transition in the state of Washington for carbon
9 mitigation. About a year or two ago, the Department of
10 Ecology implemented the Clean Air Rule which was alluded
11 to during the presentation. At this time, that -- that
12 rule is being litigated in court. If the rule is --
13 withstands the -- the litigation, then there's a chance
14 that 80.70, the facilities that are under 80.70 would
15 move to the Clean Air Rule because there's some
16 duplication in the laws. So I just wanted to make you
17 aware that this is a real time of transition in this
18 state for greenhouse gas mitigation.

19 CHAIRMAN MARCUS: Yes.

20 MR. PENRITH: I just wanted to close, from
21 The Climate Trust's side, we apologize for the error
22 both to the Council and to Invenergy who have been
23 remarkable at working with us to find a resolution. We
24 want to put the full mitigation funds to work without
25 any fees. As Sheldon said, we will make it work. And

1 we apologize. It was an error we inherited, Sheldon
2 found, and he immediately sought to correct it, and I'm
3 sorry.

4 CHAIRMAN MARCUS: Thank you for that.

5 MR. LASPINA: So in summary, councilmembers
6 and Chair Marcus, EFSEC Staff recommends the Council
7 approve the proposed resolution offered by Invenergy and
8 The Climate Trust. Thank you for your time and
9 understanding in this issue.

10 MR. POSNER: Chair Marcus, I just have a few
11 comments. So first of all, I would like to thank
12 councilmembers for their questions. It brought up some
13 interesting things that we will be following up on with
14 The Climate Trust and Invenergy, and I think they were
15 important questions that we will be looking into
16 further.

17 But the other thing I want to say is that we
18 started talking to The Climate Trust and Invenergy
19 several months ago about a resolution to this matter and
20 we've had a number of meetings, we've had some phone
21 calls, and I just want to thank them very much for
22 working with us to reach this point. We started off at
23 a different point and we've gone back and forth and they
24 have been very cooperative and very collaborative in the
25 meetings and the conversations we've had. So I just

Page 42

1 wanted to thank them for their willingness to work with
2 us, and as Jim said, Mr. LaSpina said, Staff does
3 support this proposal to resolve this matter.

4 CHAIRMAN MARCUS: Thank you, Mr. Posner.

5 Is there anybody from Invenergy that wants
6 to address this resolution? If you would come to the
7 front and identify yourself for the record, please.

8 MR. STEFANOVIC: Good afternoon, Chair
9 Marcus and councilmembers. My name is Milos Stefanovic.
10 I'm an assistant manager for Invenergy for Grays Harbor.
11 I just want to say a few words and start off by thanking
12 The Climate Trust and EFSEC members for Council support
13 since day one. We look forward to meet them going
14 forward as well as also work on the activities related
15 to NPDES permit in the near future.

16 Also I want to say a few words about the
17 Clean Air Rule since we touched on that subject. We've
18 been working very closely with the Department of Ecology
19 to better understand the Clean Air Rule and Clean Air
20 Tracking System. Based on the Clean Air Rule, the
21 primary complaints mechanism as of now are the instate
22 carbon offsets, and as a result going forward we're
23 going to try to maximize greenhouse gas mitigation funds
24 towards those instate carbon offsets.

25 However, the problem we've been experiencing

1 is -- or the challenges are that it doesn't seem good
2 enough, instate offsets, which would cover those
3 requirements and as a result, there is a possibility
4 that we may need to go outside to the out-of-state
5 market to pursue those carbon offsets in order to fully
6 comply with the Clean Air Rule. That is all I want to
7 say. I want to thank again, everyone, for Council
8 support and patience through this whole process.

9 CHAIRMAN MARCUS: Thank you for working
10 through this with Staff and with Climate Trust.

11 Anybody have any questions?

12 MR. STEFANOVIC: Thank you.

13 CHAIRMAN MARCUS: Thank you. Discussion?
14 Mr. Rossman.

15 MR. ROSSMAN: Yeah, thank you. I was
16 concerned about the first proposal that came to us, and
17 I think that this is the right proposal. I appreciate
18 getting the full amount of the mitigation payments back
19 in to make the state whole, and I also appreciate being
20 able to do that over a period of time to make it less
21 impactful to the Facility since this was not their
22 error. And I appreciate The Climate Trust for coming to
23 a good resolution. Definitely think it will be good to
24 have management changes going forward so that we have a
25 little bit more transparency on this and have our eyes

Page 44

1 on it also as a potential place to catch error.

2 So I like the solution and would hope Staff
3 can sort of work towards making whatever information we,
4 as a Council, get about this in the future having some
5 sort of degree of, you know, what the payment was and
6 then also sort of what those dollars were spent on and
7 what the anticipated reductions in greenhouse gases from
8 those projects will be so that there's just a little bit
9 more of sort of a line of sight of information to us. I
10 know it's all there in the records, but prechewing it
11 for us is helpful. I would really strongly encourage us
12 to approve this.

13 CHAIRMAN MARCUS: Anybody else? Do I hear a
14 motion to approve the proposed resolution?

15 MR. ROSSMAN: So moved.

16 CHAIRMAN MARCUS: Mr. Rossman has moved to
17 accept the proposed resolution, is there a second?

18 MR. STOHR: I second.

19 CHAIRMAN MARCUS: There is a second. Any
20 further discussion? All those in favor say "Aye."

21 MULTIPLE SPEAKERS: Aye.

22 CHAIRMAN MARCUS: Opposed? Motion carries.
23 Thank you very much for working through this and for
24 coming to a really good resolution.

25 Okay. We can move on to some internal

1 operations business. Mr. Posner.

2 MR. POSNER: Thank you, Chair Marcus,
3 councilmembers. In your packets is the nondirect cost
4 allocation sheet. We do this beginning of every
5 quarter. We're starting the second quarter for fiscal
6 year 2018, so we've gone back and done a recalculation
7 for this quarter. So you may have noticed, if you
8 looked through the sheet, that there is a new project
9 listed, and I'll mention -- I'll have a few comments
10 about that after I go through the percentages.

11 So for this quarter, we recalculated the
12 calculations based on past quarter activities and our
13 projected next quarter activities for each project. I
14 will go ahead and read off the percentages. For the
15 Kittitas Valley Wind Power Project, it's 6 percent; Wild
16 Horse Wind Project, 6 percent; Columbia Generating
17 Station, 16 percent; Columbia Solar Project, 10 percent;
18 WNP-1, 3 percent, Whistling Ridge Energy Project, 3
19 percent; Grays Harbor 1 & 2, 8 percent; Chehalis
20 Generation, 8 percent; Desert Claim, 3 percent; Grays
21 Harbor Energy 3 & 4, 3 percent; and Tesoro Savage, 34
22 percent. So are there any questions on those
23 percentages?

24 CHAIRMAN MARCUS: Anybody have any
25 questions? No.

Page 46

1 MR. POSNER: So we did receive a new
2 application yesterday for a proposed solar project in
3 Kittitas County. Its name is Columbia Solar and the
4 company who is sponsoring the project is called Tuzo
5 Energy. We will have more information on this project.
6 We will be sending each of you a link to the application
7 for site certification so you can start looking at that.
8 We will also be sending you a CD so you can look at it
9 that way as well. And this project is -- it's proposed
10 to have five separate locations within Kittitas County
11 with a combined output of 25 megawatts. And they, in
12 their cover letter, have requested that EFSEC grant
13 expedited processing in terms of their review for this
14 project.

15 That is a decision that will have to be made
16 by the Council, and it's described in our rules, and I
17 will -- I'm planning on providing more information to
18 the Council shortly on that, on the process. But one
19 thing that we will be doing within 60 days as a
20 requirement of our rules and statute is having an
21 informational meeting in Kittitas County, and a
22 subsequent land use hearing is to follow that as well.
23 So I think that's -- for now that's probably enough
24 information unless councilmembers have any questions.

25 CHAIRMAN MARCUS: Anybody have any

1 questions? Mr. Rossman.

2 MR. ROSSMAN: Thank you. Do you know if
3 we'll have -- will we already have the benefit of any
4 additional agencies and local entities wishing to sit by
5 the time we're making that expedited decision?

6 MR. POSNER: We have to -- in fact, this
7 week we will be sending out notification letters to the
8 public and local agencies as well as other optional
9 state agencies who have an opportunity to appoint
10 somebody to sit on the Council. So for instance, for
11 this project, a letter will go to Kittitas County and
12 the optional state agencies, and they have the option of
13 appointing somebody to sit on the Council. And our hope
14 is that we will have -- if those agencies choose to
15 appoint somebody, that person will be identified before
16 we have that first meeting.

17 MR. ROSSMAN: Thank you.

18 CHAIRMAN MARCUS: Are you providing that
19 deadline for them to respond back to whether or not they
20 want to participate?

21 MR. POSNER: We are planning to in the
22 letter. I'm not sure we have in the past, but we will
23 let them know that, you know, we have this meeting
24 coming up and that -- I think typically we like to know
25 within 30 days after sending the letter.

Page 48

1 CHAIRMAN MARCUS: Anybody else have any
2 questions for Mr. Posner? Anybody have any other issues
3 to bring before the Council? Hearing none, then this
4 meeting is adjourned. Thank you.

5 (Meeting adjourned at 2:33 p.m.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T E

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF WASHINGTON
COUNTY OF THURSTON

I, Tayler Garlinghouse, a Certified Shorthand Reporter in and for the State of Washington, do hereby certify that the foregoing transcript is true and accurate to the best of my knowledge, skill and ability.

Tayler Garlinghouse



Tayler Garlinghouse, CCR 3358

EFSEC Monthly Operational Report

August 2017

1. Safety and Training

- 1.1. There were no accidents or injuries during the month of August.
- 1.2. Conducted scheduled and required monthly training.
- 1.3. Conducted the scheduled safety committee meeting.
- 1.4. Met with Site Response regarding site respirators and purchased replacement filters for them as well as a new confined space monitor.

2. Environmental

- 2.1. Submitted the July Outfall Discharge Monitor Report (DMR) to Ecology.
- 2.2. Relative Accuracy Test Assessments (RATA) and SO₂ source testing were completed on both stacks during the week of August 7 by Montrose Air Quality Services. The final RATA report is due to regulator(s) within 45 days of testing.
- 2.3. A natural gas sample was collected on August 2 and its test results were later entered into the Continuous Emission Monitoring System (CEMS) for the month.
- 2.4. The submitted responses for Approval Conditions 2, 5, and 6 of Cooling Tower Notice of Construction were approved by both EFSEC and ORCAA. These were all associated with the new, higher efficiency drift eliminators that were installed this year.
- 2.5. The arsenic and mercury levels in all of the August outfall samples were below the minimum level documented in Table 3-6 of AECOM's 2015 Engineering Report. A test plan for post-AKART testing of the outfall was approved by both EFSEC and the lead consulting engineer (Cameron Ochiltree) - this addendum testing was started on August 15.
- 2.6. A dry weather inspection of manhole 12 was completed on August 10. There was no discharge from site occurring, which confirmed the system's integrity, and that there were no non-storm water discharges to the plant's storm water system.
- 2.7. Began review of a revised PSD Amendment 4 that EFSEC emailed on August 24 and requested comments on by September 8.
- 2.8. Visible emissions training for EPA Method 9 opacity monitoring, outfall pipe inspection and repair, and sweeping of paved surfaces were each scheduled for this September.
- 2.9. New turbidity and total residual chlorine samples were received from ERA for the DMR QA37 tests that our site lab failed. These quality assurance tests will be redone in early September.

3. Operations & Maintenance

- 3.1. Grays Harbor Energy (GHE) operated 31 days and generated 403,440 MWh during the month of August.

4. Noise and/or Odor

4.1. There were no complaints made to the site during the month of August.

5. Site Visits

5.1. None.

6. Other

6.1. Grays Harbor is staffed with 19 personnel.

Energy Facility Site Evaluation Council

Non Direct Cost Allocation for 2nd Quarter FY 2018 October 1, 2017 – December 31, 2017

The EFSEC Cost Allocation Plan (Plan) was approved by the Energy Facility Site Evaluation Council in September 2004. The Plan directed review of the past quarter's percentage of EFSEC technical staff's average FTE's, charged to EFSEC projects. This information is used as the basis for determining the non-direct cost percentage charge, for each EFSEC project. In addition, the Plan allows for adjustment due to anticipated work load and the addition of new projects.

Based on the levels of work during the 1st quarter of FY 2018, using the procedures for developing cost allocation, and allowance for new projects, the following percentages shall be used to allocate EFSEC's non direct costs for the 2nd quarter of FY 2018:

Kittitas Valley Wind Power Project	6%
Wild Horse Wind Power Project	6%
Columbia Generating Station	16%
Columbia Solar	10%
WNP-1	3%
Whistling Ridge Energy Project	3%
Grays Harbor 1&2	8%
Chehalis Generation Project	8%
Desert Claim Wind Power Project	3%
Grays Harbor Energy 3&4	3%
Tesoro Savage	34%



Stephen Rosner, EFSEC Manager

Date: 10/16/17

ENERGY FACILITY SITE EVALUATION COUNCIL

Roll Call Checklist

Meeting Date: October 17, 2017 EFSEC Council Meeting

State Agency Members

Chair

Roselyn Marcus

Commerce

Jaime Rossman

Ecology

Cullen Stephenson

Fish and Wildlife

Joe Stohr

Natural Resources

Dan Siemann *Via phone*

Utilities and Transportation

Commission

Dennis Moss

Local Gov't. and Optional State Agency

Department of Transportation

Ken Stone

City of Vancouver

Bryan Snodgrass

Clark County

Greg Shafer

Port of Vancouver

Larry Paulson

Assistant Attorney General

Assistant Attorney General

Ann Essko

Assistant Attorney General

David Stearns

Council Staff

Stephen Posner Patty Betts

Jim LaSpina Ami Kidder

Tammy Mastro Christina Potis

Sonia Bumpus Cassandra Noble

Joan Aitken

	In attendance	Call	Present
1.	<i>wild</i> Jennifer Diaz & Orse	<input checked="" type="checkbox"/>	<input type="checkbox"/>
2.	<i>ENW</i> Debbie Knaub	<input checked="" type="checkbox"/>	<input type="checkbox"/>
3.	<i>chehalis</i> Mark Miller	<input type="checkbox"/>	<input checked="" type="checkbox"/>
4.	<i>Group Harbor</i> Chris Sherin	<input type="checkbox"/>	<input checked="" type="checkbox"/>
5.	Sheldon Zakreski	<input type="checkbox"/>	<input checked="" type="checkbox"/>
6.	Sean Penrith	<input type="checkbox"/>	<input checked="" type="checkbox"/>
7.	Milos Stefanovic	<input type="checkbox"/>	<input type="checkbox"/>
8.		<input type="checkbox"/>	<input type="checkbox"/>
9.		<input type="checkbox"/>	<input type="checkbox"/>
10.		<input type="checkbox"/>	<input type="checkbox"/>

Plant Migr - Climate Trust - Climate Trust - Inverness



THE
CLIMATE
TRUST

Grays Harbor Energy Center GHG Mitigation Plan

Sheldon Zakreski, Director of Asset Management
Sean Penrith, Executive Director

October 17, 2017



OUTLINE

- About The Climate Trust
- How the Plan works
- Impact of the Plan
- Mitigation Payment History
- Proposed Resolution



THE
CLIMATE
TRUST

Mission: *The Climate Trust mobilizes conservation finance to maximize environmental returns*

- Non-profit Organization – 1997
- Committed to projects – \$34M
- Climate impact equivalent to taking almost 700,000 cars off the road
- Over 50 projects and 100+ collaborative partnerships
- Compliance and voluntary programs



THE
CLIMATE
TRUST

How is the GHG Mitigation Payment Calculated?

- Annual calculation
 1. Emissions differential between Total Potential and Base Rate
 - 514,103 short tons of CO₂e emissions
 2. Base rate and inflation
 - Initial rate \$0.57 per ton
 - Rate fluctuates based on PPI starting on April 1, 2008
- Paid \$3,245,080 (2008-17)



THE
CLIMATE
TRUST

How this works?

Grays Harbor Energy Center



\$\$\$



Independent Qualified Org



THE CLIMATE TRUST

\$\$\$



Project Developers



Site Certificate Compliance

Retire GHG on behalf of GHEC

Offset Project Lifecycle



Identify Project Opportunities \$



Project Assessment \$



ERPA Negotiations \$-\$

6-9 months

Project Monitoring \$



3rd Party Verification \$



Offsets Issued + Transferred \$



Offsets Banked or Retired

5-10 years




GHEC Project Portfolio

Project Name	State	Contracted (mtCO ₂ e)	Retired (mtCO ₂ e)
Rexville Dairy Digester	WA	50,476	50,476
Lochmead Dairy Digester	OR	11,200	2,991
Cedar Grove Composting	WA	17,996	17,996
ECC Composting	DE	33,002	33,002
Composting Replacement Offsets	WA	41,811	41,811
Afognak Forestry	AK	91,655	91,655
ClimeCo Composting	WA	37,922	37,922
Total		284,062	275,853

148,205 offsets or 54% retired are WA-based

Eligible to use for Clean Air Rule



THE CLIMATE TRUST

GHG Mitigation Payment Calculation in Practice

- **What happened?** TCT reset the unit rate to the base rate of \$0.57 each year before factoring in prior year PPI.
- **What should have happened?** Each new annual unit rate calculation should have factored PPI going back to April 1, 2008 not just the prior year PPI.
- **What's the implication?** By not taking into account inflation beyond the past year, mitigation payments were increasingly under-calculated.
 - Result is a total underpayment of \$181,029 between 2010 and 2016



THE
CLIMATE
TRUST

How did this happen?

- Payment spreadsheet wasn't initially set up to carry over inflation.
- Discovered in March, 2017 review of GHG Plan in response to assessing how it would interact with new Clean Air Rule regulation.



THE
CLIMATE
TRUST

How TCT addressed the issue?

- Updated controls to mitigate future risk of error
 1. Annual calculation prepared and submitted by Director of Asset Management
 2. Annual calculation is reviewed by Director of Finance
 3. If calculations reconcile, mitigation payment documentation submitted to Executive Director for review and approval
 4. If approved by Executive Director, invoice and calculation documentation submitted to Invenergy



THE
CLIMATE
TRUST

Interactions with Invenergy

- April 2017. TCT informed Invenergy of the error.
- April 2017. TCT submitted annual mitigation payment requested based on corrected formula. Invenergy made mitigation payment.
- May-October 2017. Discussions with WA EFSEC staff and between Invenergy and TCT on the miscalculation and negotiations to reach a mutually agreed to resolution.



THE
CLIMATE
TRUST

Proposed Resolution

- Additional payment of \$45,257 per year over the next 4 years (2018-2021)
 - Represents 100% of total miscalculated mitigation funds amount
- 100% of these funds go straight to offsets
 - Not used for TCT's transaction and management costs
 - Accounting system will reflect this restriction on these funds
- TCT to make best efforts to source WA-based offsets
- Parties negotiating a MOU to govern resolution plus future mitigation payments
- Increased collaboration with EFSEC staff on transparency and program reporting



THE
CLIMATE
TRUST

THANK YOU!





Washington State Energy Facility Site Evaluation Council AGENDA

MONTHLY MEETING
Tuesday, October 17, 2017
1:30 PM

1300 S Evergreen Park Drive SW
Olympia, WA 98504
Hearing Room 206

- 1. Call to Order Roselyn Marcus, EFSEC Chair
- 2. Roll Call Tammy Mastro, EFSEC Staff
- 3. Proposed Agenda Roselyn Marcus, EFSEC Chair
- 4. Minutes **Meeting Minutes**..... Roselyn Marcus, EFSEC Chair
 - August 15, 2017
- 5. Projects
 - a. Kittitas Valley Wind Project
 - Operational Update..... Eric Melbardis, EDP Renewables
 - b. Wild Horse Wind Power Project
 - Operational Update..... Jennifer Diaz, Puget Sound Energy
 - c. Columbia Generating Station
 - Operational Update..... Debbie Knaub, Energy Northwest
 - d. WNP – 1/4
 - Non-Operational Update..... Debbie Knaub, Energy Northwest
 - e. Chehalis Generation Facility
 - Operational Update..... Mark Miller, Chehalis Generation Staff
 - f. Tesoro/Savage Vancouver Energy Distribution Terminal
 - Project Update..... Sonia Bumpus, EFSEC Staff
 - g. Grays Harbor Energy Center
 - Operational Update..... Chris Sherin, Grays Harbor Energy
 - Greenhouse Gas Mitigation Plan Update Jim LaSpina, EFSEC Staff

*The Council may consider and take **FINAL ACTION** on underpayment of funds to mitigate for greenhouse gases as required by the Facility Greenhouse Gas Mitigation Plan. Representatives from the Climate Trust will make a presentation regarding this matter.*
- 6. Other
 - a. EFSEC Council
 - 2nd Quarter Cost Allocation..... Stephen Posner, EFSEC Staff
- 7. Adjourn..... Roselyn Marcus, EFSEC Chair

**SATSOP COMBUSTION TURBINE PROJECT
GREENHOUSE GAS MITIGATION PLAN**

APPROVED June 9, 2003

By

**STATE OF WASHINGTON
ENERGY FACILITY SITE EVALUATION COUNCIL**

**SUBMITTED BY
DUKE ENERGY GRAYS HARBOR, LLC**

INTRODUCTION

In 1994, the Washington Public Power Supply System (now "Energy Northwest") filed an application with the Energy Facility Site Evaluation Council (EFSEC or "the Council") to construct a 490 MW combined-cycle combustion turbine project at the Satsop site. After holding an adjudicatory hearing, EFSEC recommended a Site Certification Agreement (SCA) for the Satsop Combustion Turbine Project, and the Governor executed that SCA on May 21, 1996.

The topic of greenhouse gas mitigation was addressed during the adjudicatory hearings in 1996. Evidence indicated that the facility would emit up to 1.778 million tons of greenhouse gases a year. During the hearings, the applicant and the Counsel for the Environment disagreed about whether the Council should require mitigation for those greenhouse gas emissions. Ultimately, the Council decided not to impose a mitigation requirement. The Council found that "the Satsop CT Project uses the latest reasonable technology and that it will produce lower emissions of greenhouse gases than older natural gas combustion turbine facilities or other fossil fuel facilities." Order No. 694 at 13-14.

Among other things, the Council concluded that "[b]urdensome greenhouse gas mitigation . . . could place the Applicant at a competitive disadvantage within the power producing market and deprive the market of a very efficient power producing facility. Balancing the respective interests, and recognizing that emission technology will advance and greenhouse mitigation measures may be enhanced as time passes, the Council will impose no fixed requirement upon the Applicant. . . . If a comprehensive federal or state mitigation program is implemented, the Council reserves the right to exercise its authority under that program . . ." Order No. 694 at 25. Accordingly, the original SCA provided that:

If a comprehensive federal or state mitigation program is implemented, the Council reserves the right to exercise its authority under that program, considering and appropriately crediting any measures that the Certificate Holder has accomplished. SCA Article VI.B.2.

In 2001, the Council added Duke Energy Grays Harbor, LLC ("Duke Energy"), to the SCA as a Certificate Holder, and together Duke Energy and Energy Northwest requested a technical amendment to the SCA to allow the use of currently available equipment in the CT facility. The equipment change resulted in an increase in the facility capacity from 490 MW to approximately 630 MW.

The Council granted the technical amendment on April 13, 2001, by Resolution No. 298. In Resolution No. 298, the Council acknowledged that the increase in the facility's capacity could result in an increase in the facility's carbon dioxide (CO₂) emissions, and stated that the Council had authority to compel the Certificate Holders to prepare and implement a carbon dioxide mitigation plan. Although the Satsop CT facility now has the potential to emit more than 1.778 million tons of CO₂ per year, under many likely operating scenarios, the actual annual emissions would not exceed the total volume of emissions that the Council and the Governor permitted in 1996 without any mitigation requirement. Both Resolution No. 298 and subsequent discussions with the Council

reflect the Council's intention to require the Certificate Holders to mitigate only those CO₂ emissions that exceed the previously-permitted amount.

Duke Energy has developed this Greenhouse Gas Mitigation Plan over the course of several months, in consultation with Council members and with careful consideration of comments provided by other interested parties. The mitigation plan set forth below is based upon the mitigation plan that the Council approved for the Sumas 2 Generating Facility, which in turn was based upon the mitigation requirements established by Oregon statute and regulations.

In evaluating the mitigation plan, however, it is important to keep in mind that the Satsop CT Project differs from the Sumas 2 project in one very important respect. EFSEC approved the vast majority of the CO₂ emissions from the Satsop CT Project in 1996 (those attributable to 490 MW of the now 630 MW facility), without imposing any mitigation requirement. In contrast, none of the Sumas 2 facility's emissions had been previously approved without mitigation. Nonetheless, to address EFSEC's concerns, Duke Energy proposes a mitigation plan that is relatively comparable to the plan approved for the Sumas 2 Project.

MITIGATION PLAN

Duke Energy proposes that the mitigation obligation be based upon the maximum potential CO₂ emissions that exceed a rate of 0.675 pounds of CO₂ per kilowatt hour (lb/kWh) over 30 years of the facility's operation. The mitigation requirement would be satisfied on an annual basis by providing a fixed amount of funding per ton of CO₂ emissions to be mitigated to an approved organization for use in implementing CO₂ mitigation projects. In addition, the Certificate Holders will provide a fixed amount of funding to cover the organization's expenses in administering the mitigation funding.

This Mitigation Plan is generally based upon the mitigation plan approved by the Council for the Sumas 2 Generation Facility, which in turn was based on the requirement in effect in Oregon on June 29, 2001, the date on which the application for the Sumas 2 project was submitted to EFSEC. However, this Plan differs from the Sumas 2 mitigation plan in three important respects: (1) funding will be provided on an annual basis, unlike the Sumas plan which funded the entire obligation over the first five years of operation; (2) the price per ton will increase over time according to the Producer Price Index, and (3) funding for administrative expenses will be provided.

A. Calculation of Emissions Subject to Mitigation Requirement

The Certificate Holders will mitigate potential CO₂ emissions from the facility that exceed the rate of 0.675 lb/kWh. The mitigation requirement will be based upon the facility's maximum potential emissions, rather than the actual emissions in any given year.

In order to determine the volume of emissions requiring mitigation, the Certificate Holders shall determine the facility's maximum potential annual CO₂ emissions and the corresponding maximum potential kilowatt-hours of electricity generated. The Certificate Holders shall then subtract from the maximum potential annual emissions the volume of emissions that would be associated with generating the same amount of electricity if the electricity were generated at a rate of 0.675 lb/kWh CO₂.

For example, if the facility's maximum capacity were 630 MW and its maximum potential annual CO₂ emissions were 2.2 million tons, the calculation would be made as follows:

Facility's Potential Annual CO ₂ Emissions	-	Annual Emissions if 630 MW Generated at Rate of 0.675 lbs CO ₂ per kilowatt hour	=	Emissions to Mitigate
2,200,000 tons	-	630,000 kw x 8760 hrs x 0.675 lb/kwhr	=	Emissions to Mitigate

		2000 lbs/ton		
2,200,000 tons	-	1,862,595 tons	=	337,405 tons

Thirty days prior to the commencement of facility operations, the Certificate Holders will submit to EFSEC the calculation of the emissions subject to mitigation on an annual basis.

B. Funding for Mitigation

The Certificate Holders will satisfy the mitigation requirement by providing a fixed amount of funding for each ton of emissions to be mitigated to an organization approved by EFSEC, as well as funding for administrative expenses as described below.

The amount of mitigation funding will be initially be fixed at \$0.57 per ton of CO₂ emissions to be mitigated. On the first anniversary of the commencement of commercial operation of the facility, and on the anniversary of that date of each year thereafter, the amount of funding per ton will increase from \$0.57 in the same percentage as the Producer Price Index has increased during the same period. For example, if the facility began commercial operation on January 1, 2004, and if the Producer Price Index rose by 3% from January 1, 2004 to January 1, 2005, the amount of any funding due for 2005 would be based on a price of \$0.587 per ton, which is 103% of \$0.57.

C. Funding for Administrative Expenses

In addition to the mitigation funding described above, the Certificate Holders will provide the organization selected to administer the greenhouse gas mitigation funding with funding equal to seven and one-half percent (7.5%) of each annual payment of mitigation funding for use toward the payment of the organization's administrative expenses.

D. Timing and Duration of Funding Requirement

The mitigation requirement will be payable by the Certificate Holders on an annual basis at the start of each of the first 30 years in which the facility is operating. Thirty days after the facility begins commercial operation, and on the anniversary of that date in each of the following 29 years, the Certificate Holders shall submit documentation to EFSEC demonstrating that the mitigation and administrative funding required under this mitigation plan has been provided to the organization approved to administer the funds.

E. Approval of Organization to Administer Funds

A qualified organization, such as the Climate Trust, shall be selected by the Certificate Holders to administer the funds provided for greenhouse gas mitigation. At least thirty days prior to the commencement of commercial operations, the Certificate Holders shall propose, for EFSEC's approval, an organization to administer the mitigation funding. The Certificate Holders shall provide detailed information regarding the proposed organization, including documentation indicating the organization's willingness to administer the funds and a description of how the organization intends to administer the funds. If EFSEC does not approve the organization proposed by the Certificate Holders, EFSEC shall specify an alternative organization to receive funding required under this mitigation plan.

At any time while the mitigation requirement is in effect, the Certificate Holders may propose to designate a new organization to administer mitigation funds in future years. EFSEC must approve any change in the administering organization.

PREEMPTION AND SUNSET

If a new state or federal law imposes requirements on the Certificate Holders to limit, mitigate or offset greenhouse gas emissions, EFSEC will support the Certificate Holders in obtaining credit under any such new laws, regardless of preemption, for early action for offsets already funded under this Mitigation Plan.

If any new state or federal law pre-empts this Mitigation Plan, to the extent that any carbon offset or funding obligation hereunder has not been met at the time of such change in law, the Certificate Holders may meet any such obligation through compliance with the new program, and further obligations under this Mitigation Plan will terminate.

EFSEC Monthly Operational Report

September 2017

1. Safety and Training

- 1.1. There were no accidents or injuries during the month of September.
- 1.2. Conducted scheduled and required monthly training.
- 1.3. Conducted the scheduled safety committee meeting.
- 1.4. Knight Fire Protection, Inc. completed an annual inspection of fire monitoring and protection system on September 14 (excluding pump confidence test).

2. Environmental

- 2.1. Submitted the August Outfall Discharge Monitor Report (DMR) to Ecology and mailed a new NPDES sample from September 5 to ALS lab
- 2.2. The final RATA and SO₂ stack test report from Montrose Air Quality Services was submitted to EFSEC and ORCAA on September 20 (within 45 days of the successful testing).
- 2.3. A natural gas sample was collected on September 5 and its test results were later entered into the continuous emission monitoring system (CEMS) for the month. The submitted responses for Approval Conditions 2, 5, and 6 of Cooling Tower Notice of Construction were approved by both EFSEC and ORCAA. These were all associated with the new, higher efficiency drift eliminators that were installed this year.
- 2.4. The arsenic and mercury levels in the September results received for the outfall have been below the minimum level documented in Table 3-6 of AECOM's 2015 Engineering Report. The average arsenic results of 3 micrograms/liter have shown little variation over the 12 outfall samples evaluated since August 15.
- 2.5. Provided draft comments on PSD Amendment 4 to ORCAA and DOE – these were reviewed with them during a September 28 conference call that included Southshore Environmental. Completed a quarterly drill/table top exercise for new air permit with Operations Manager and Plant Manager which identified new action items. Visible emissions training for EPA Method 9 opacity monitoring, outfall pipe inspection and repair, and sweeping of paved surfaces were each scheduled for this September.
- 2.6. Visible emissions training for EPA Method 9 opacity monitoring was completed by 5 site staff. The first off-stack zero alignment was completed by Ametek Land for all 3 opacity meters on September 6. The opacity meter for CT1 was returned to OEM for repair in late September.
- 2.7. In compliance with SPCC, a quarterly bulk inventory for site was completed on September 28.
- 2.8. The second round of turbidity and total residual chlorine samples received from ERA for the site lab's quality assurance (DMR QA37) were tested and the results

submitted.

- 2.9. Submitted a 5-year update of Site Restoration Plan to EFSEC on September 27.
 - 2.10. Cowlitz Clean Sweep swept all paved surfaces on-site on Sept. 10 and a passing storm water sample for 3rd quarter was collected on September 19. Turbidity is being measured by ALS Lab rather than site lab due to apparent calibration issues with Hach 2100P turbidimeter (new standards kit ordered).
 - 2.11. The outfall discharge piping in the Chehalis River was inspected by Crux Diving, Inc. on Sept. 8 and the video and photo results were submitted to EFSEC on September 12.
3. Operations & Maintenance
 - 3.1. Grays Harbor Energy (GHE) operated 29 days and generated 358,430 MWh during the month of September.
4. Noise and/or Odor
 - 4.1. There were no complaints made to the site during the month of September.
5. Site Visits
 - 5.1. None.
6. Other
 - 6.1. Grays Harbor is staffed with 20 personnel.

Grays Harbor Energy LLC

Grays Harbor Energy Center

Jim Luce, Chair
Energy Facility Site Evaluation Council
P.O. Box 43172
Olympia, Washington 98504

RECEIVED

FEB 14 2008

ENERGY FACILITY SITE
EVALUATION COUNCIL

Re: Satsop Combustion Turbine Project – CO2 Mitigation Plan

Dear Chairman Luce:

Grays Harbor Energy LLC owns and will soon begin operating the Satsop Combustion Turbine Project ("the Project"). The Site Certification Agreement for the Satsop site actually dates back to 1976, when a nuclear facility was proposed for the site. An SCA amendment in 1996 authorized construction of a gas-fired combustion turbine facility at the site, and several amendments since that time reflect subsequent changes in the Project design and ownership.

As you know, the Project was permitted before the Legislature adopted the CO2 mitigation requirements that are now found in RCW chapter 80.70. However, as part of one of the SCA Amendments, the Council required the Certificate Holder to develop a CO2 mitigation plan. Duke developed the "Satsop Combustion Turbine Project Greenhouse Gas Mitigation Plan," and the Council approved that Plan on June 9, 2003. A copy of the approved plan is enclosed.

This letter provides a summary of the approved Mitigation Plan, and then explains two proposals that Grays Harbor Energy will present for the Council's consideration at the Council's February 2008 meeting.

The Approved Mitigation Plan

The approved Mitigation Plan contemplates that the Certificate Holder will make annual payments to a qualifying organization to be used to implement CO2 mitigation projects. The first payment is due within 30 days after the Project begins commercial operation, and annual payments are to be made on the anniversary of that date in each of the following 29 years.

Calculating the annual payment due under the Plan requires several steps.

Step One: Calculate the Maximum Annual Potential Emissions from the Project.

This calculation is based upon the assumption that the Project operates at 100% capacity for 8,760 hours per year.

Grays Harbor Energy LLC

Grays Harbor Energy Center

We have calculated the Maximum Annual Potential Emissions for the Project to be 2,391,480 tons.

$$\frac{635,000 \text{ kW} \times 8,760 \text{ hours} \times 0.859843 \text{ lb/kWh}}{2000 \text{ lbs/ton}} = 2,391,480 \text{ million tons}$$

Step Two: Calculate the Amount of Emissions to be Mitigated.

The Plan requires the Project to mitigate only a portion of its CO2 emissions. To determine the Amount to be Mitigated, the amount of emissions that would be generated if CO2 were emitted at a rate of 0.675 lbs/kWh is subtracted from the Maximum Annual Potential Emissions calculated in Step One.

We have calculated the Amount of Emissions to be Mitigated each year to be 514,103 tons.

$$2,391,480 \text{ tons} - \frac{635,000 \text{ kW} \times 8,760 \text{ hours} \times 0.675 \text{ lb/kWh}}{2000 \text{ lbs/ton}} = 514,103 \text{ tons}$$

Step Three: Calculate the Mitigation Funding Due.

In Year One, the Project is required to provide funding at a rate of \$0.57 per ton of CO2 Emissions to be Mitigated. In future years, the \$0.57 mitigation rate increases according to the increase in the Producer Price Index.

For Year One, the Project is required to provide \$293,038.43 in Mitigation Funding.

$$514,103 \text{ tons} \times \$0.57 = \$293,038.43$$

Step Four: Calculate the Total Payment including Administrative Fee

Each year, in addition to the Mitigation Funding calculated in Step Three, the Project must pay an additional 7.5% to be used toward administrative costs.

For Year One, the Total Payment due would be \$315,016.31.

$$\$293,038.43 \times 1.075 = \$315,016.31$$

Council members will recognize that the approved Mitigation Plan is somewhat similar to the Oregon requirement that was in effect several years ago and it is also somewhat similar to the mitigation requirement that the Council included in the Sumas 2 SCA. However, the approved Mitigation Plan also included some important differences. Most notably, it allows the Project to make annual mitigation payments over 30 years, rather than requiring a single lump sum payment at the start of operation.

Grays Harbor Energy Center

Requested Approvals

With that background about the Project's CO2 mitigation obligation, Grays Harbor Energy LLC requests the Council to approve two matters concerning the implementation of and compliance with the Mitigation Plan.

(1) Administering Organization

At least 30 days prior to the commencement of Commercial Operations, the Mitigation Plan requires Grays Harbor Energy LLC to propose for EFSEC's approval an organization that will manage and administer the Mitigation Funds. We request that the Council approve The Climate Trust as that organization.

We know the Council is familiar with The Climate Trust and as you know, The Climate Trust has extensive experience in administering CO2 mitigation funds. We are enclosing some additional information about The Climate Trust.

We are prepared to start making payments to The Climate Trust in April, if the Council approves it as the administering organization. The Climate Trust has expressed an interest in administering these Mitigation Funds, as indicated by the enclosed letter. We are in the process of finalizing a Memorandum of Understanding that we expect to be able to execute soon after EFSEC approves the Climate Trust as the administering organization under the Mitigation Plan.

(2) Modify Funding Schedule

As explained above, the approved Mitigation Plan requires the Certificate Holder to make mitigation payments each year for 30 years. Grays Harbor Energy LLC is prepared to comply with this payment schedule. However, when we approached The Climate Trust, The Climate Trust asked us to consider pulling forward some of the payments on a discounted net present value basis. The Climate Trust explained that it is easier for it to place larger amounts of money, and those larger projects mitigate more CO2 per dollar spent than smaller projects.

The Climate Trust has proposed that Grays Harbor Energy LLC make a lump sum payment in Year 1 to cover the first 7 years of operation, and then make annual payments for the remaining 23 years thereafter. The initial lump sum would be calculated based on the assumption that the \$0.57 per ton rate mitigation funding would increase by 2.5% per year (our estimate of the average expected annual increase in the Producer Price Increase), and a net present value determination using a 10% discount rate.

Based on The Climate Trust's assumptions about mitigation costs over time, we have compared the CO2 mitigation expected to be achieved with this proposal to the CO2 mitigation expected to be achieved through the original payment schedule. During the first 7 years, the comparison is as follows:

FIRST 7 YEARS	CO2 Climate Change Expects to Offset	Mitigation Funds Paid (including admin. fee)
Approved Plan	130,343 tons	\$2,384,763
Modified Payment Plan	174,618 tons	\$1,642,505

Attached is a spread sheet that provides further details on these calculations.

After the first seven years, the Mitigation Payments would be made annually, so there would be no difference between the two approaches.

We want to emphasize that Grays Harbor Energy LLC is willing to comply with the funding schedule as set forth in the Mitigation Plan, making payments each year. However, Grays Harbor Energy LLC is also willing to make a lump sum payment of \$1,642,505 to cover its obligation for the first seven years, and asks the Council to approve that alternative approach. A representative from the Climate Trust will join us at the Council's February meeting to further explain the advantages of the lump sum approach from their perspective.

We look forward to discussing these matters with you and other Council members at your February meeting.

Sincerely,



Invenergy Services LLC
Authorized Representative For
Grays Harbor Energy LLC

The Climate Trust: Organizational Overview and Qualifications

February 4, 2008

The following provides an organizational overview of The Climate Trust as well as its qualifications to serve as the implementation organization for the *Satsop Greenhouse Gas Mitigation Plan*.

Organizational Overview

Unique non-profit with a focus on high-quality greenhouse gas offsets. The Climate Trust is a 501(c)(3) non-profit organization whose mission is to provide high-quality carbon offset projects and advance sound offset policy. Since its establishment in 1997 as an Independent Qualified Organization (IQO) under the Oregon Carbon Dioxide Standard, The Climate Trust has successfully placed nearly \$9 in carbon mitigation funding into a portfolio of 16 offset projects.

Ten years experience as the sole Independent Qualified Organization under the Oregon GHG Standard. The Climate Trust has provided cost-effective offsets, received flawless financial audits, managed funds transparently, and preserved the capital invested in offsets. As a result, The Climate Trust has maintained its qualified status under the Oregon law since the organization's inception. All offset projects funded to date have met the rigorous compliance criteria set forth by the Oregon Carbon Dioxide Standard.

Served as offset acquisition organization for other states. The Climate Trust has functioned as the provider of offsets under regulatory procedures in both Massachusetts and Montana. In Massachusetts, we successfully worked with the Massachusetts Energy Facility Siting Council as the offset acquisition organizations for a newly sited power facility. For our work in Montana, The Climate Trust was selected to acquire the offsets under a settlement agreement between a power developer and the Montana Department of Environmental Quality. For both of these, The Climate Trust was successful in identifying and implementing local projects.

Diverse portfolio of offset projects. The Climate Trust's current portfolio consists of 16 projects totaling \$8.8 million that will offset nearly 2.6 million tons of CO₂, making it one of the largest institutional buyers of offsets in the US. A sampling of project sectors this diverse portfolio includes:

- Transportation;
- Diesel reductions;
- Industrial material substitution;
- Fuel switching;

- Renewable energy;
- Energy efficiency; and
- Forest restoration and preservation

Capacity to deliver at all stages of the offset project cycle. The Climate Trust has extensive experience with all the elements of identifying and implementing offset projects. This includes specifying preferred offset types, developing and issuing RFPs, evaluating and recommending projects, assembling diverse portfolios, negotiating offset contracts, designing monitoring and verification protocols, managing the implementation of offset contracts, and maintaining an offset registry and retiring tons.

Qualifications to Serve as an IQO for Washington

Although the *Satsop Greenhouse Gas Mitigation Plan* was developed prior to the passage of Washington's Greenhouse Gas Standard (WA RCW 80.70), The Climate Trust is able to meet the IQO requirements set forth in 80.70:

Requirement of 80.70: "An independent qualified organization shall not use more than twenty percent of the total funds for selection, monitoring and evaluation of mitigation projects and that management and enforcement of contract" Section 80.70.050(2).

Qualification: This is identical to Oregon GHG Standard requirement. To date, The Climate Trust has been in compliance with this obligation and we maintain a third-party annual audit to ensure ongoing compliance.

Requirement of 80.70: "Before signing contracts to purchase offsets with funds from certificate holders or order of approval holders, an independent qualified organization must demonstrate to the council that the mitigation projects it proposes to use provides a reasonable certainty that the performance requirements of the carbon dioxide mitigation projects will be achieved" Section 80.70.050(3).

Qualification: The Climate Trust continues to utilize the highest offset project assessment standards in the US offset market.

Requirement of 80.70: "The Independent Qualified Organization shall permit the council to appoint up to three persons to inspect plans, operation, and compliance activities of the organization and to audit financial records and performance measures for carbon dioxide mitigation projects using carbon dioxide mitigation money paid by certificate holders or order of approval holders under this chapter." Section 80.70.050(4),

Qualification: The Climate Trust has an offset review committee, comprised of members of the Climate Trust's Board of Directors that is responsible for the review of carbon dioxide mitigation projects used to meet compliance obligations under the Oregon Carbon Dioxide Standard. It is anticipated that EFSEC appointed members would sit on that committee.

Requirement of 80.70: "Independent qualified organizations must file biennial reports with the council, the department, or authority on the performance of carbon dioxide mitigation projects, including the amount of carbon dioxide reductions achieved and a statement of cost for the mitigation period." Section 80.70.050(5).

Qualification: The Climate Trust undergoes an annual financial audit conducted by an independent auditing agency.

Supplemental information regarding The Climate Trust's programs, projects, and activities – including copies of our annual financial audits – can be made available upon request.

Calculations of Tons of CO2 Mitigated Under Both Options

Yearly Payments for first 7 years

2.6% Estimated Growth Rate in PPI

	Year	Total Mitigation Payment	Admin Payments (7.5% of mitigation payment)	CO2 Price (\$/ton)	CO2 Offset Volume (tons)
1	2008	\$ 293,038	\$ 21,978	\$12	19,536
2	2009	\$ 300,657	\$ 22,549	\$12	20,044
3	2010	\$ 308,475	\$ 23,136	\$12	20,565
4	2011	\$ 316,495	\$ 23,737	\$15	16,880
5	2012	\$ 324,724	\$ 24,354	\$15	17,319
6	2013	\$ 333,167	\$ 24,987	\$15	17,769
7	2014	\$ 341,829	\$ 25,637	\$15	18,231
Total		\$ 2,218,384	\$ 166,379		130,343

Total Payment \$ 2,384,763

Lump Sum Payment

Discount Rate 10%

	Total Mitigation Payment	Admin Payments (7.5% of mitigation payment)	CO2 Price (\$/ton)	CO2 Offset Volume (tons)
Total	\$1,527,911.46	\$114,593.36	\$7	174,618

Total Payment \$ 1,642,505

Differences

	Total Cost	CO2 Mitigated (tons)
Satsop Plan	\$ 2,384,763	130,343
Lump Sum Payment	\$ 1,642,505	174,618

Notes about these calculations:

PPI Growth Rate - From 1997 through 2006, PPI on all products has changed from -2.5% to +7% per year, with an average change of 2.6%.

CO2 Price per ton - These rates come from the forward price curves for CO2 used by The Climate Trust. The curves they use are fairly conservative and show little price growth over the next few years. The price difference between the Lump Sum Payment rate of \$7 and the year 1 rate of \$12 is because larger projects are easier to place and are more efficient.

Discount Rate - We use a 10% rate when making investment decisions for the plant. Because of the financing structure of Grays Harbor Energy LLC, we must go to our lenders and take out new loans to make this lump sum payment.

Kittitas Valley Wind Power Project

Monthly Project Update

September 19, 2017

Project Status Update

August Production Summary:

Power generated: 34,728 MWh
Wind speed: 8.2 m/s
Capacity Factor: 42.6%

Safety:

No incidents

Compliance:

Project is in compliance as of September 18th, 2017

Sound:

No complaints

Shadow Flicker:

No complaints

Environmental:

No incidents

Heavy smoke from multiple Kittitas County fires affected work when the AQI (Air Quality Index) was greater than 150.

Kittitas Valley Wind Power Project

Monthly Project Update

October 17, 2017

Project Status Update

September Production Summary:

Power generated: 19,958 MWh
Wind speed: 6.4 m/s
Capacity Factor: 27.5%

Safety:

No incidents

Compliance:

Project is in compliance as of October 12th, 2017

Sound:

No complaints

Shadow Flicker:

No complaints

Environmental:

No incidents

Wild Horse Wind Facility

August & September 2017

Safety

No lost-time accidents or safety injuries/illnesses.

Compliance/Environmental

Nothing to report.

Operations/Maintenance

Nothing to report.

Wind Production

August generation totaled 38,260 MWh for an average capacity factor of 18.86%.

September generation totaled 41,609 MWh for an average capacity factor of 21.20%.

Eagle Update

Nothing new to report at this time.

**Energy Northwest
EFSEC Council Meeting
September 19, 2017
Debbie Knaub**

I. Columbia Generating Station Operational Status

Columbia is online at 100% power and producing 1134 MWs. The plant has been online for 11 days following a several day outage to repair several valves and restore coolant chemistry. The plant took advantage of the offline time to perform other repairs and maintenance.

There are no other events, safety incidents, or regulatory issues to report.

II. WNP 1/4 Water Rights

NEPA/Leasing

No change from July 2017 report.

Energy Northwest's new lease with the Department of Energy for WNP 1/4 went into effect on July 1, 2017. We have started the planning and some field work on the water distribution system project, which will eventually utilize the Water Rights permit granted by the Department of Ecology.

**Energy Northwest
EFSEC Council Meeting
October 17, 2017
Debbie Knaub**

I. Columbia Generating Station Operational Status

Columbia is online at 100% power and producing 1151 MWs. The plant has been online for 38 days following a nearly 13 day outage at the end of August to repair valves and restore coolant chemistry.

Executive Team Changes:

Columbia is in the process of selecting a successor to the current CEO, Mark Reddemann, who has announced his retirement. Interviews will occur this winter and spring with selection occurring in April 2018. The new CEO will start in June 2018.

Regulatory Updates:

The Washington Department of Health restored Columbia Generating Station's radiological waste shipping privileges on October 3, 2017 which were suspended in late July following shipment of waste accompanied by an incorrect manifest. As discussed during the August 2017 council meeting, the Columbia team had completed an accurate manifest for a shipment prior to the date of shipment, but due to a lack of verification, an incorrect copy accompanied the shipment. Since the event, Columbia has worked with the Department of Health and the NRC and has revised shipping procedures and added additional expertise to the team.

There are no other events, safety incidents, or regulatory issues to report.

II. WNP 1/4 Water Rights

NEPA/Leasing

No change from July 2017 report.

Energy Northwest's new lease with the Department of Energy for WNP 1/4 went into effect on July 1, 2017. We have started the planning and some field work on the water distribution system project, which will eventually utilize the Water Rights permit granted by the Department of Ecology.

Chehalis Generation Facility----Monthly Plant Report – August 2017

Washington Energy Facility Site Evaluation Council

9-01-2017

Safety:

- There were no recordable incidents this reporting period and the plant staff has achieved 764 days without a Lost Time Accident.

Environment:

- There were no air emissions or stormwater deviations or spills during the month of August 2017.
- Wastewater and Stormwater monitoring results were in compliance with the permit limits for the month of August 2017.

Personnel:

- The Chehalis plant staffing level is currently 18 of 19 approved positions filled.

Operations and Maintenance Activities:

- The Plant generated 260,300 MW-hours in August for a 2017 YTD generation total of 974,775 MW-hours and a capacity factor of 28.9%.

Regulatory/Compliance:

- Nothing to report.

Sound monitoring:

- Nothing to report this period.



Carbon Offset Mitigation:

- Nothing to report this period

Respectfully,

A handwritten signature in black ink, appearing to read "M. Miller".

Mark A. Miller
Manager, Gas Plant
Chehalis Generation Facility

Chehalis Generation Facility----Monthly Plant Report – September 2017

Washington Energy Facility Site Evaluation Council

10-01-2017

Safety:

- There were no recordable incidents this reporting period and the plant staff has achieved 794 days without a Lost Time Accident.

Environment:

- There were no air emissions or stormwater deviations or spills during the month of September 2017.
- Wastewater and Stormwater monitoring results were in compliance with the permit limits for the month of September 2017.

Personnel:

- The Chehalis plant staffing level is currently 18 of 19 approved positions filled.

Operations and Maintenance Activities:

- The Plant generated 139,492 MW-hours in September for a 2017 YTD generation total of 1,114,267 MW-hours and a capacity factor of 33.0%.

Regulatory/Compliance:

- Nothing to report.

Sound monitoring:

- Nothing to report this period.



Carbon Offset Mitigation:

- Nothing to report this period

Respectfully,

A handwritten signature in black ink, appearing to read "M. Miller".

Mark A. Miller
Manager, Gas Plant
Chehalis Generation Facility